

**Canadian Nuclear  
Safety Commission**

**Commission canadienne de  
sûreté nucléaire**

**Public Hearings**

**Audiences publiques**

**July 13, 2005**

**Le 13 juillet 2005**

Public Hearing Room  
14th floor  
280 Slater Street  
Ottawa, Ontario

Salle d'audiences publiques  
14e étage  
280, rue Slater  
Ottawa (Ontario)

**Commission Members present**

**Commissaires présents**

Ms Linda J. Keen, President  
Dr. Moyra McDill  
Mr. Michael Taylor

M<sup>me</sup> Linda J. Keen, présidente  
M<sup>me</sup> Moyra McDill  
M. Michael Taylor

**General Counsel:** Mr. Jacques Lavoie

**Conseiller général:** M. Jacques Lavoie

**Secretary:** Mr. Marc A. Leblanc

**Secrétaire:** M. Marc A. Leblanc

**TABLE OF CONTENTS**

Opening Remarks	1
<b>05-H15 / 05-H15.A</b>	
Adoption of agenda	3
<b>COGEMA Resources Inc.: Application for an amendment to the McClean Lake Operation's Uranium Mine and Mill Operating Licence to allow summer Sensitive work for Sue E pit</b>	
<b>05-H16.1/05-H16.1A</b>	
Oral presentation by COGEMA Resources Inc.	5
<b>05-H16 / 05-H16.A</b>	
Oral presentation by CNSC Staff	16

Ottawa, Ontario

--- Upon commencing on Wednesday, July 13, 2005  
at 1:00 p.m.

**Opening Remarks**

**M. LEBLANC:** Bonjour, mesdames et messieurs. Bienvenu à l'audience de la Commission canadienne de sûreté nucléaire. The Canadian Nuclear Safety Commission is about to start one public hearing today.

Mon nom est Marc Leblanc. Je suis secrétaire de la Commission et j'aimerais aborder certains aspects touchant le déroulement de l'audience.

L'audience est enregistrée et transcrite textuellement. La transcription se fait dans l'une ou l'autre des langues officielles, compte tenu de la langue utilisée par le participant à l'audience publique. The transcripts will be available on the website of the Commission as early as next week.

To make the transcripts as meaningful as possible, we would ask everyone to identify themselves clearly before speaking.

As a courtesy to others in the room, please silence your cell phones.

1                   Madame Keen, présidente et première  
2                   dirigeante de la Commission va présider l'audience  
3                   publique d'aujourd'hui.

4                   Madame Keen.

5                   **THE CHAIRPERSON:** Good afternoon and  
6                   welcome to the hearing of the Canadian Nuclear Safety  
7                   Commission.

8                   I would like to begin by introducing the  
9                   members of the panel that are with us today. This is a  
10                  panel of the Commission today. On my right is Dr. Moyra  
11                  McDill and on my left is Mr. Michael Taylor. As well as  
12                  the Secretary of the Commission, Mr. Marc Leblanc, I would  
13                  also like to welcome Jacques Lavoie who is the General  
14                  Counsel to the Commission.

15                  I would like to note that the Commission is  
16                  still on enhanced security status, as are many of the  
17                  facilities that we regulate and, as such, we will take  
18                  measures necessary to ensure that security matters of a  
19                  sensitive nature are not discussed in public and we will,  
20                  if necessary, move in camera at any time to discuss  
21                  security matters of a sensitive nature.

22                  Before adopting the agenda, please note  
23                  that there were two supplementary Commission Member  
24                  Documents, or CMDs, added to the agenda for the hearing  
25                  after its publication on June 21<sup>st</sup>, 2005, and these are

1 listed in the updated agenda.

2 With this information, I would like to now  
3 call for the adoption of the agenda by Commission Members.  
4 The agenda is outlined in Commission Member Document 05-  
5 H15.A.

6

7 **05-H15 / 05-H15.A**

8 **Adoption of Agenda**

9 **THE CHAIRPERSON:** Do I have the concurrence  
10 of the Members?

11 For the record, I note that the agenda has  
12 been adopted.

13 On the agenda today is a One-Day Hearing in  
14 the matter of the Application by COGEMA Resources Inc. for  
15 the amendment to the McClean Lake Operation's Uranium Mine  
16 and Mill Operating Licence to allow summer sensitive work  
17 for the Sue E Project.

18 **M. LEBLANC:** This is a One-Day Public  
19 Hearing. The Notice of Public Hearing 2005-H9 was  
20 published on April 20<sup>th</sup>, 2005. The public was invited to  
21 participate either by oral presentation or written  
22 submission.

23 June 13<sup>th</sup>, 2005 was the deadline set for  
24 filing by intervenors. The Commission received no request  
25 for intervention.

1                   July 6<sup>th</sup>, 2005 was the deadline for filing  
2 of supplementary information. Supplementary information  
3 has been filed by COGEMA Resources and CNSC staff.

4                   For the record, I note that the Commission  
5 has rendered a decision yesterday approving the  
6 Environmental Assessment Screening Report for the McClean  
7 Operation Sue E Project. The decision has been sent to  
8 the participants at the June 29<sup>th</sup> hearing on that matter  
9 and will be available on the CNSC website in approximately  
10 two weeks, once it will have been translated.

11                   **THE CHAIRPERSON:** On that basis then, I  
12 first turn to COGEMA Resources Inc. for their presentation  
13 as outlined in Commission Member Documents 05-H16.1, 05-  
14 H16.1A, and I will turn to Mr. Bob Pollock, Vice-President  
15 of Environment Health and Safety.

16                   Mr. Pollock, the floor is yours, sir.

17  
18                   **COGEMA Resources Inc.:**  
19                   **Application for an amendment to**  
20                   **The McClean Lake Operation's**  
21                   **Uranium Mine and Mill Operating**  
22                   **Licence to allow summer**  
23                   **Sensitive work for Sue E pit**  
24  
25                   **05-H16.1 / 05-H16.1A**

1       **Oral presentation by**

2       **COGEMA Resources Inc.**

3                   **MR. POLLOCK:** Thank you, and good  
4       afternoon, Madam Chair and Members of the Commission.

5                   For the record, I am Bob Pollock, Vice-  
6       President, Environment Health and Safety for COGEMA  
7       Resources Inc. Also present today on behalf of COGEMA  
8       Resources is Jim Corman, General Manager of McClean Lake  
9       Operation.

10                  We are here today to support our  
11       application to amend the uranium mine operating licence  
12       for McClean Lake Operation to allow COGEMA Resources to  
13       conduct weather-sensitive preparatory activities for  
14       future mining of the Sue E open pit.

15                  Our company appreciates that this panel of  
16       the Commission has been convened for consideration of this  
17       application at this One-Day Hearing.

18                  This slide provides an outline for today's  
19       presentation. Our written submission, CMD 05-H16.1,  
20       provided a summary of McClean Lake operation and an  
21       overview of mining operations in the Sue mining area to  
22       provide context for this request for an amendment for  
23       approval of Sue E preparatory activities.

24                  Given that consideration of the entire Sue  
25       E Project will take place at a Two-Day Commission Hearing

1 scheduled for August the 17<sup>th</sup> and October the 20<sup>th</sup>, 2005,  
2 our presentation today will focus on the specific  
3 activities which are the subject of this amendment  
4 request.

5 Jim Corman will describe the background to  
6 our request and then discuss the weather-sensitive  
7 preparatory activities for which we are requesting  
8 Commission approval. I will then discuss the programs for  
9 protection of environment health and safety and updating  
10 our preliminary decommissioning plan and financial  
11 assurance before concluding our presentation. Jim Corman  
12 will now continue.

13 **MR. CORMAN:** Thank you, Bob.

14 For the record, I am Jim Corman, General  
15 Manager of the McClean Lake Operation.

16 As Commission Members recall, McClean Lake  
17 Operation consists of three main areas; namely, the Jeb  
18 area where the mill, tailings management facility and camp  
19 are located, the Sink/Vulture Treated Effluent Management  
20 System in the middle of this figure and the Sue mining  
21 area at the south end of the lease area.

22 The licence amendment being requested  
23 involves only the Sue mining area.

24 This slide focuses on the Sue mining area.  
25 Here, the proposed Sue E pit and associated facilities

1 have been superimposed onto the satellite image of the Sue  
2 site. The Sue E pit is located about 500 metres south of  
3 the Sue C pit and immediately adjacent to the western edge  
4 of the Sils Lake.

5 Similar to Sue C, the Sue E deposit will be  
6 developed using conventional open-pit mining methods.  
7 Clean waste rock will be stockpiled to the northwest of  
8 the Sue E pit and overburden will be used to displace the  
9 water from the portion of Sils Lake adjacent to the future  
10 pit.

11 Given the short summer season in Northern  
12 Saskatchewan, the CNSC has been requested to give special  
13 consideration to this overburden placement and to several  
14 other items of weather-sensitive preparatory work in  
15 advance of licensing consideration of the entire Sue E  
16 Project.

17 As noted earlier, COGEMA Resources  
18 appreciates that this panel of the Commission has been  
19 convened for consideration of this work today.

20 Sils Lake is a small, shallow, non-fish-  
21 bearing lake that commonly freezes to the bottom during  
22 the winter months. As can be seen in this drawing, the  
23 western edge of Sils Lake is in close proximity to the  
24 eastern brow of the proposed Sue E pit, so it is necessary  
25 to backfill a portion of the lake in order to enhance the

1 pit wall stability during future mining of the pit.

2 Specifically, Sils Lake must be partially  
3 dewatered and the remaining water contained with a  
4 physical barrier. To accomplish this, it is planned to  
5 draw down the water level by pumping it to the Sue C pit  
6 and place the overburden excavated from the E pit into  
7 Sils Lake as a physical barrier between the remaining lake  
8 and the pit. These activities are best performed prior to  
9 freeze-up to ensure the integrity of the physical barrier.

10 The main weather-sensitive preparatory  
11 activities are listed on this slide. Roads must be  
12 constructed to access the Sue E area and Sils Lake. As a  
13 minimum, adequate access to Sils Lake will be required to  
14 initiate dewatering activities.

15 As well, it is preferable to construct the  
16 road required to access the Sue E pit during warmer months  
17 to facilitate proper compaction of road bed material and  
18 efficient grading of materials when the material is not  
19 frozen.

20 Water from Sils Lake will be transferred  
21 via pipeline to the Sue C pit. Water from the Sue C pit  
22 is then treated at the Sue Water Treatment Plant prior to  
23 release to the environment.

24 The installation of transfer pipelines must  
25 be carried out in advance of Sils Lake dewatering

1 activities. Again, proper grading of pipelines is best  
2 achieved during warmer months when the material being  
3 excavated is being placed to attain the desired grading is  
4 not frozen.

5 Further, the fusion of pipeline joints is  
6 better achieved when there is less temperature  
7 differential between the pipe weld and the surrounding  
8 atmosphere.

9 Approval is requested for construction of  
10 all dewatering pipelines, including those to Sils Lake and  
11 to the future Sue E pit.

12 To establish a safe physical barrier  
13 between the Sue E pit and Sils Lake, the north basin of  
14 the lake will be substantially filled in with low  
15 permeability overburden material from Sue E. Overburden  
16 refers to the surficial material that lies above the  
17 bedrock horizon. It can be further classified as organic  
18 topsoil and underlying glacial tills.

19 Under the requested amendment COGEMA will  
20 remove overburden material until the underlying bedrock is  
21 reached. These materials, if spread over the entire north  
22 basin of Sils Lake, would reach a height of six to eight  
23 meters above the current water level.

24 It should be noted that this section was  
25 not in our original text in that the final design from the

1 consultant included in a report which we recently received  
2 and forwarded to CNSC earlier this week, recommends that a  
3 higher lift thickness of 15 meters be used to displace the  
4 thin layer of organic sediments ahead of the advancing  
5 face of the overburden as it is placed. This will still  
6 leave the infilled area well beyond the minimum  
7 recommended distance from the pit.

8 Initially, an area of glacial till with  
9 little organic material will be excavated and placed first  
10 at the north end of Sils Lake. Organic topsoil will then  
11 be segregated as it is encountered and stockpiled on top  
12 of this initially placed till.

13 To support the design of the physical  
14 barrier geotechnical analysis of pit wall stability and  
15 hydro-geological analysis of the groundwater system have  
16 been conducted by a geotechnical consultant. The four  
17 scenarios identified on this slide were used in the final  
18 analysis. The results of the analysis suggests that the  
19 stability of the slopes will not be significantly  
20 influenced by moderate groundwater pressures or seepage on  
21 the slope face. However, higher seepage rates and forces  
22 may cause erosion of the slopes. Consequently, it would  
23 be preferable to limit the groundwater pressures  
24 immediately behind the slopes.

25 The predicted hydraulic head distribution



1 wall stability of placing both the overburden at Sils Lake  
2 and the waste rock stockpile to the northwest has been  
3 assessed. Geotechnical test pit investigations have been  
4 completed to confirm the characteristics of the materials  
5 present. The results provided recommendations for the  
6 design of the waste rock stockpile and for infilling of  
7 Sils Lake, and confirm that the foundations of the  
8 proposed waste rock and overburden stockpiles will be  
9 stable. Further, Sils Lake can be backfilled with  
10 overburden materials and the waste rock stockpile placed  
11 to the northwest of the pit without compromising the  
12 stability of the pit walls.

13 Coinciding with the previously described  
14 work COGEMA proposes to conduct some other minor site  
15 preparation activities which are best conducted in  
16 favourable weather in advance of the Sue E mining. These  
17 earth work activities include the excavation of ditches  
18 and installation of culverts, septic facilities and  
19 signage. Also, we note for the Commission's information,  
20 that the existing SaskPower powerline must be moved from  
21 its present location as it currently transects the  
22 proposed Sue E pit. This type of work is also typically  
23 best carried out during summer months.

24 Bob Pollock will now continue with our  
25 presentation.

1                   **MR. POLLOCK:** Thank you, Jim.

2                   For the record, I am Bob Pollock, Vice  
3 President; Environment, Health and Safety.

4                   Programs for environmental protection,  
5 radiation protection, occupational health and safety,  
6 emergency preparedness and training have been established  
7 for McClean Lake operation. These programs support all  
8 ongoing activities performed at McClean Lake.

9                   Performance in these areas has been  
10 described to the Commission in previous submissions made  
11 during the recent hearing for the re-licensing of McClean  
12 Lake operation. These established programs, which  
13 successfully operated throughout the mining of the Sue C  
14 open pit, are equally applicable to the mining of the Sue  
15 A open pit and will similarly extend to the proposed Sue E  
16 open pit development, including the summer preparatory  
17 activities.

18                   The McClean Lake operation Preliminary  
19 Decommissioning Plan and Financial Assurance document has  
20 been updated to include the future decommissioning of the  
21 Sue E open pit and associated stockpiles. The plan has  
22 been submitted to CNSC and Saskatchewan Environment staff  
23 for review and acceptance. The decommissioning plan  
24 includes detail sufficient to ensure that the proposed  
25 plan is, in light of existing knowledge, technically

1 feasible and appropriate in the interest of health,  
2 safety, security and protection of the environment.

3 The proposed level of financial assurance  
4 remains at \$35 million Canadian based on the recent  
5 recalculation of decommissioning costs. Generally, the  
6 increases in decommissioning costs related to the  
7 excavation of the Sue E pit were offset by the reduced  
8 backfill volumes required for the JEB TMF which resulted  
9 from the increased tailings deposit from the processing of  
10 Sue E ores. Subsequent to the filing of this  
11 supplementary information we have received a letter from  
12 Saskatchewan Environment indicating that they are in  
13 agreement with the updated plan and the amount.

14 Completion of this weather sensitive  
15 preparatory work before freeze-up will enable mining to  
16 commence in late 2005 upon completion of the licensing  
17 process for the general Sue E Project.

18 Partial draining and backfilling of a  
19 portion of Sils Lake is particularly important. This will  
20 establish a secure physical barrier between the remaining  
21 open waters of Sils Lake and the Sue E pit to ensure safe  
22 future mining conditions. Summer construction is needed  
23 to ensure earth work quality and construction efficiency  
24 and for the associated water management activities.  
25 Related items such as roads and pipelines are also best

1 completed during the summer. Conducting the work  
2 described in this submission in the summer also has  
3 advantages in terms of occupational safety and  
4 environmental protection. Delays in the Sue E project  
5 would increase the risk of not having a continuous supply  
6 of ore for the JEB Mill prior to the anticipated future  
7 delivery of Cigar Lake ore. Lack of a continuous ore  
8 supply would have serious social economic implications to  
9 our workers and suppliers and negative operational  
10 economic implications for the company.

11 In conclusion, COGEMA Resources request an  
12 amendment to the CNSC operating licence for the McClean  
13 Lake operation to allow weather sensitive preparatory  
14 work, as listed in this slide, to be conducted in  
15 preparation for the future mining of the Sue E open pit.  
16 We will be pleased to answer any questions which members  
17 of the Commission may have.

18 This concludes our presentation, Madam  
19 Chair.

20 **THE CHAIRPERSON:** Thank you very much.

21 I will turn to the presentation from CNSC  
22 staff outlined in CMD documents 05-H16, 05-H16.A, and I  
23 will turn to Mr. Barclay Howden, the Director General  
24 responsible.

25 Mr. Howden, you may proceed.

1       **05-H16 / 05-H16.A**  
2       **Oral presentation by**  
3       **CNSC staff**

4                   **MR. HOWDEN:** Thank you. Good afternoon,  
5       Madam Chair and Members of the Commission. For the  
6       record, my name is Barclay Howden.

7                   With me today are Mr. Kevin Scissons,  
8       Director of the Uranium Mines and Lands Evaluation  
9       Division; Mr. Rick Forbes, Project Officer within the same  
10      division, and the rest of the CNSC's licensing team for  
11      the project.

12                  COGEMA has applied for an amendment of the  
13      McClellan Lake Uranium Mine and Mill Operating Licence to  
14      allow them to proceed with required activities in  
15      preparation to mine the Sue E pit. COGEMA is requesting  
16      this early hearing prior to the Day 1 hearing on August  
17      17<sup>th</sup> stating that these activities are necessary to do in  
18      the summer and fall prior to mining the Sue E pit. This  
19      presentation contains an assessment of the Application and  
20      staff's recommendation for the amendment of the licence.

21                  I will now ask Rick Forbes to present an  
22      overview of the information and recommendations prepared  
23      by CNSC staff.

24                  **MR. FORBES:** Good afternoon, Madam Keen,  
25      and Commission Members.

1                   My name is Rick Forbes. I am the CNSC's  
2 Project Officer for the McClean Lake Operation.

3                   This presentation will provide an overview  
4 of the approved activities and their requested amendment  
5 activities. The issues associated with this Application  
6 will be discussed, followed by CNSC's staff's program  
7 assessment, an assessment of the requested activities. I  
8 will then present CNSC's staff's conclusions and  
9 recommendations.

10                  The approved activities in the current  
11 uranium mine and mill operating licence for McClean Lake  
12 Operation UMOL MINEMILL McCLEAN.01/2009 include mill ore  
13 at an annual rate of 3.6 million kilograms per year of  
14  $U_3O_8$ . Mine Sue A and B pits produce and ship a uranium  
15 concentrate and modify the JEB Mill for the proposed Cigar  
16 Lake ore milling.

17                  Since the issuing of the McClean Lake  
18 licence in May 2005 COGEMA has supplied the remaining  
19 information regarding the Mine Equipment Development  
20 Project which had been briefly presented to the Commission  
21 as an information item at the Public Hearing Day Two on  
22 April 6, 2005 but was not part of the Commission's  
23 decision.

24                  The Mine Equipment Development Project is  
25 an underground mining method test that could be done from

1 surface. This would involve a maximum of five holes in  
2 the McClean underground ore body during the 2005 summer  
3 season.

4 The application information was assessed by  
5 CNSC staff and found acceptable. The designated officer  
6 considered and approved the proposal on June 10<sup>th</sup>, 2005,  
7 resulting in the current licence.

8 The requested activities in this current  
9 Application are: prepare a road from Sue C to the Sue E  
10 to allow access from the Sue mine site; to partially  
11 dewater the Sils Lake which is adjacent to the Sue E ore  
12 body; to relocate the SaskPower powerline which is  
13 presently in the Sue E footprint -- this would be done by  
14 SaskPower -- to commence stripping of the overburden of  
15 the Sue E open pit and placement of the material in the  
16 dewatered Sils Lake to act as a berm to keep the remaining  
17 water at a safe distance from the pit.

18 The picture is of the proposed Sue E site  
19 looking south from the north side. You can see the Sils  
20 Lake in the centre of the picture.

21 COGEMA had previously applied for an  
22 amendment to its McClean Lake licence to allow for mining  
23 of the Sue E ore body. A One-Day Commission Public  
24 Hearing was held June 29<sup>th</sup>, 2005 to consider the  
25 Environmental Assessment Screening Report, CMD 05-H13.

1                   In the Reasons for Decision issued July  
2                   12<sup>th</sup>, 2005 the Commission concluded that the project,  
3                   taking into account the mitigation measures identified in  
4                   the screening report, is not likely to cause significant  
5                   adverse environmental effects.

6                   COGEMA's licence amendment application for  
7                   mining of the Sue E ore body is scheduled to be heard by  
8                   the Commission on August 17<sup>th</sup> and October 20<sup>th</sup>, 2005, not  
9                   October 19<sup>th</sup>, 2005 as stated on the slide. COGEMA had  
10                  requested to have the Commission review this application  
11                  for preparatory weather-sensitive work prior to these  
12                  hearings.

13                  If the decision to allow the weather-  
14                  sensitive work to be done was delayed until the Commission  
15                  decision on the Sue E mining application, the preparatory  
16                  work would have to be done during winter or postponed  
17                  until the summer of 2006.

18                  COGEMA's application states the work needs  
19                  to be done during the summer months because freezing  
20                  conditions would hinder the dewatering of Sils Lake, the  
21                  placement of overburden in the lake bottom and the  
22                  relocation of the powerline by SaskPower. CNSC staff  
23                  accepts these technical reasons. COGEMA also states that  
24                  this scheduling difficulty could cause problems with the  
25                  continuous ore feed to the mill.

1                   Staff conducted a program assessment over  
2 the review period of September 1<sup>st</sup>, 2001 to October 1<sup>st</sup>,  
3 2004 for CMD 05-H2 to determine whether the applicant is  
4 qualified and has made adequate revision for the  
5 protection of the environment, health and safety of  
6 persons and maintenance of national security and  
7 international obligations.

8                   Nine program areas were considered in the  
9 assessment. The Commission was updated at the Day Two  
10 hearing held April 6, 2005 with CMD 05-H2A.

11                   COGEMA has been making satisfactory  
12 progress on the quality assurance, training and radiation  
13 protection audit findings. Staff is presently reviewing  
14 COGEMA's documents at this time.

15                   The ratings for each program are summarized  
16 in this table. What should be noted is that all program  
17 areas had the program rated as "B". All programs with the  
18 exception of quality assurance had a "B" rating for  
19 implementation. The quality assurance had a "C" rating  
20 for implementation. As previously mentioned, COGEMA is  
21 making satisfactory progress.

22                   There have been no other changes to these  
23 program areas or their implementation.

24                   The CEAA process was followed involving the  
25 preparation of an environmental assessment screening

1 report, heard by the Commission on June 29<sup>th</sup>, 2005 with  
2 the Commission decision July 12<sup>th</sup>, 2005. A systematic  
3 approach was used to assess the licence application for  
4 the requested modifications.

5 For this Application the following key  
6 program areas were assessed to determine if the applicant  
7 is qualified to carry out the requested modifications and  
8 to determine if the applicant is expected to continue to  
9 make adequate provisions for the protection of the  
10 environment and health and safety of persons.

11 The program areas are as follows: radiation  
12 protection; environmental protection and non-radiological  
13 health and safety.

14 As earlier stated, the Commission's  
15 decision on the Sue E EA Screening Report was issued July  
16 12<sup>th</sup>, 2005 which stated that the Commission therefore will  
17 proceed under the *Nuclear Safety and Control Act* with its  
18 consideration of COGEMA's licence application.

19 COGEMA's reason for the partial dewatering  
20 and infilling of Sils Lake with Sue E pit overburden is  
21 based on the fact that Sils Lake is adjacent to the Sue E  
22 pit. COGEMA states this work needs to be done prior to  
23 freezing conditions.

24 The lake is a potential safety hazard to  
25 the pit because of its proximity. COGEMA's Geotechnical

1 Consultant's Report states that there is potential slope  
2 stability problems if the pond of water is not moved away  
3 from the pit crest. This requires partial dewatering of  
4 the lake and effectively backfilling to displace the lake  
5 bottom sediments to provide a barrier to the water. The  
6 lake is a shallow water body that is slightly over one  
7 metre deep and contains no fish. COGEMA has technically  
8 explained that this work needs to be done before freezing  
9 conditions cause problems with dewatering and effective  
10 fill placement.

11 CNSC staff has reviewed this information  
12 and accepts the technical reasons.

13 The following key programs are relevant to  
14 this application: COGEMA has an effective radiation  
15 protection program in place that will be used in the  
16 mining of Sue E pit. However, these requested activities  
17 do not have any work associated with radiation.  
18 Therefore, there are no changes of the program required.

19 As for environmental protection, the Sue E  
20 Pit Application has undergone an Environmental Assessment  
21 Screening Report heard by the Commission on June 29<sup>th</sup>,  
22 2005 that has included the assessment of the partial  
23 dewatering of the Sils Lake.

24 Using the Sue C pit as a settling pond as  
25 well as surge capacity improves and protects the

1 performance of the Sue water treatment plant.

2 CNSC staff and Saskatchewan Environment  
3 staff have worked effectively together in the  
4 Environmental Assessment and in the Environment Program  
5 Assessment.

6 CNSC staff has no environmental concerns  
7 with this proposal.

8 COGEMA has an effective occupational health  
9 and safety program that meets the requirements of the non-  
10 radiological health and safety program.

11 The occupational health and safety program  
12 meets the requirements and is also monitored by  
13 Saskatchewan Labour.

14 CNSC staff and Saskatchewan Labour staff  
15 have worked effectively together in the assessment of the  
16 non-radiological health and safety program, including  
17 discussions on the pit design.

18 Based on CNSC staff's assessment in the CMD  
19 CNSC staff concludes that COGEMA is qualified to carry on  
20 the activities, including the requested activities that  
21 the proposed amended licence will authorize.

22 COGEMA made and is expected to continue to  
23 make adequate provision for the protection of the  
24 environment and the health and safety of persons.

25 COGEMA made and is expected to continue to

1 make adequate provision for the maintenance of security  
2 and the implementation of international obligations, and  
3 the proposed activities have already been included in a  
4 recently approved environmental assessment.

5 It is recognized that a decision to approve  
6 this request for weather-sensitive work cannot and will  
7 not prejudice any decision the Commission may make on the  
8 application to mine the Sue E ore body, as per the  
9 hearings scheduled for August and October, 2005.

10 To conclude, CNSC staff recommends that the  
11 Commission proceed with a course of action consistent with  
12 paragraph 20(1)(a) of the CEAA. That course of action  
13 would be consideration by the Commission under the NSCA of  
14 the application by COGEMA to proceed with the weather-  
15 sensitive work to the Sue E Project, accept CNSC staff's  
16 assessment that the applicant is qualified to carry on the  
17 activities that the amended licence will authorize and  
18 will make adequate provision in carrying out those  
19 activities for the protection of the environment, the  
20 health and safety of persons and the maintenance of  
21 national security and measures required to implement  
22 international obligations to which Canada has agreed and  
23 amend the current uranium mine operating licence, UMOL  
24 Mine Mill McClean .01/2009, to allow the preparatory  
25 weather-sensitive work for the Sue E project to proceed.

1                   It would include these three items. The  
2 first is the activity which states:

3                   "Partial dewatering and partial  
4                   infilling of Sils Lake; overburden  
5                   stripping of Sue E pit and associated  
6                   preparatory 2005 weather-sensitive  
7                   work."

8                   The second is a condition which states:

9                   "The licensee shall obtain approval of  
10                  the Commission or a person authorized  
11                  by the Commission for the final design  
12                  of the partial dewatering and partial  
13                  infilling of Sils Lake before  
14                  commencing that work, as referenced in  
15                  paragraph (h) of section 4, Licensed  
16                  Activities."

17                  The third is the inclusion of updated  
18 Appendix B documents.

19                  I would now like to turn it back to Mr.  
20 Howden.

21                  **MR. HOWDEN:** Thank you.

22                  Madam President and Members of the  
23 Commission, that concludes our presentation and staff is  
24 available to respond to questions.

25                  **THE CHAIRPERSON:** Thank you, Mr. Howden.

1                   Now the floor is open for questions from  
2 Commission Members and I will start with Mr. Taylor.

3                   **MEMBER TAYLOR:** Thank you, Madam Chair.

4                   My first question is for COGEMA. For the  
5 record, I would like you to confirm that you clearly  
6 understand and accept the point that staff made at the end  
7 of that presentation; namely, that the discussion today  
8 does not prejudge in any way any decision that the  
9 Commission may make on the mining of Sue E ore body.

10                  **MR. POLLOCK:** Bob Pollock, for the record.

11                  Yes, we both understand and accept that  
12 position.

13                  **MEMBER TAYLOR:** Thank you.

14                  My second question is for the staff and  
15 then perhaps for COGEMA.

16                  One point five (1.5) of section V of the  
17 licence says:

18                                 "The licensee shall obtain approval of  
19                                 the Commission or a person authorized  
20                                 by the Commission for the final design  
21                                 of the partial dewatering and partial  
22                                 infilling of Sils Lake before  
23                                 commencement of the work."

24                  It is not clear to me whether or not we  
25 have reached a final design. Could you clarify what the

1 situation is with respect to partial dewatering and  
2 infilling of Sils Lake?

3 **MR. FORBES:** Rick Forbes, for the record.

4 That has to do with the geotechnical report  
5 that is forthcoming, and we have just received it, that  
6 details the soil sampling so that the design can be  
7 completed.

8 **MEBMER TAYLOR:** Okay. Then perhaps I can  
9 ask COGEMA. It is not clear to me, despite your  
10 presentation, what the determined sequence of events is.

11 Are you going to build a dike across this  
12 lake and dewater behind that, or just drop the fill into  
13 the lake?

14 **MR. POLLOCK:** Bob Pollock, for the record.

15 It was originally thought that a dike would  
16 be necessary, but the test pit results, which we received  
17 only very recently and which are included in this final  
18 report, show there is sufficient fine material that the  
19 material itself will provide a sufficient barrier.

20 I can ask Jim to elaborate slightly on  
21 that.

22 **MR. CORMAN:** Jim Corman, for the record.

23 As Bob mentioned, the new test pits  
24 indicate that the till material is relatively low  
25 permeability.

1           The sequence of events will be dewatering  
2 of Sils Lake will pull approximately an equal amount of  
3 water out of Sils equivalent to what we are going to  
4 displace with the till and then place the till into the  
5 lake. So it will just be essentially starting from the  
6 shore of the lake and working away past that 165 minimum  
7 distance.

8           **MEMBER TAYLOR:** Thank you.

9           I do not want to prejudge your final  
10 decision about this process, since you have only just  
11 received the proposal, but is it, from your point of view,  
12 acceptable to just pour the fill into the water rather  
13 than removing the water before you do that?

14           **MR. NGUYEN:** For the record, my name is Son  
15 Nguyen, a specialist with the Waste and Geosciences  
16 Division.

17           As you know, we have not reviewed that  
18 report yet. We just received it yesterday. But,  
19 technically, this -- depending on the permeability and the  
20 fine content of the overburden material, this technique is  
21 feasible and has been done somewhere else.

22           **MEMBER TAYLOR:** Thank you.

23           And to get on to the meat of the request  
24 about them doing work in warmer weather, it is fairly  
25 evident that it is difficult to pump the lake out when it

1 is frozen, but some of the other things, welding the  
2 pipes, building roads, grading the pipeline, those other  
3 areas, does staff clearly accept that these things are  
4 necessary to be done before the mining licence is  
5 considered by the Commission?

6 **MR. FORBES:** Rick Forbes, for the record.

7 For the pipelines, the pipelines have to be  
8 in place to dewater the Sils, so that is assumed. But,  
9 from personal experience, yes, it is much better and safer  
10 to have pipes that are welded during the summer.

11 Road access is also necessary for access to  
12 the proposed pit and to the Sils Lake area for dewatering.

13 **MEMBER TAYLOR:** Thank you.

14 **THE CHAIRPERSON:** If I could, just a  
15 supplementary on that, because it really is an issue of  
16 the health and safety aspects of doing this weather-  
17 sensitive work. And I just would feel that there is some  
18 elaboration on Mr. Taylor's question.

19 The words that are used continually through  
20 here are things like "it's best completed," or "it's  
21 preferable," or whatever, and I think the CNSC has to  
22 decide -- the Commission has to decide on whether this  
23 work, from a health and safety point of view, not an  
24 economic point of view, not as sort of what is best, or  
25 preferable, but what is the health and safety reasons to

1 do this, either occupational health and safety or  
2 environmental aspects or what is under our jurisdiction  
3 and mandate that makes these activities to proceed on this  
4 amendment.

5 I guess I'm not sure we've got enough  
6 evidence from the reply to Mr. Taylor.

7 So I would like to start then with COGEMA  
8 in terms of the list that you've got. The list that is  
9 the most complete in my mind is page 3 of CMD 05-H16,  
10 which is a staff CMD.

11 But I guess my first question to COGEMA is  
12 item 2.2 of CMD 05-H16, which is page 3. Is that a  
13 correct representation of the activities for which you are  
14 seeking this licence amendment?

15 **MR. POLLOCK:** Yes, it looks complete except  
16 that as we have -- sorry, Bob Pollock, for the record.

17 It looks complete except that as we have  
18 indicated in our response to Mr. Taylor's earlier  
19 question, the till dike was there in the first place on  
20 the assumption that the material would not be adequate on  
21 its own as a barrier and the test pit results have shown  
22 we don't need those till dikes, or at least that is our  
23 judgment. I acknowledge that has yet to be evaluated and  
24 confirmed by staff.

25 There is a certain amount of the pipelines

1 and road work is absolutely required. You can't get at  
2 Sils Lake and you can't pump it out without pipelines and  
3 road work, so that regardless -- not counting the benefits  
4 from an occupational health and safety and environment  
5 perspective, there is a certain amount of this  
6 infrastructure that simply has to be there to get at the  
7 critical activities.

8 **THE CHAIRPERSON:** So perhaps we could just  
9 do this in a step-wise fashion.

10 So there are seven elements there and you  
11 would remove number 6; is that correct, if the staff  
12 approves of the study that has been approved -- that has  
13 been submitted. Is that correct?

14 **MR. POLLOCK:** Yes. Bob Pollock, for the  
15 record.

16 Yes. And again, that is conditional on the  
17 staff coming to the same conclusion that we have. Should  
18 they come to the conclusion that dikes are required, it is  
19 not a particularly formidable task to put the dikes in.  
20 So I wouldn't want to see, this summer, where we get into  
21 some sort of, well, we took the dikes out but then it  
22 turned out they were needed but we didn't have the  
23 approval then. So we would be reluctant to ---

24 **THE CHAIRPERSON:** So leave it in?

25 **MR. POLLOCK:** --- get into that position.



1 integrity of the physical barrier."

2 So would that be then considered an issue  
3 to do with protection of the environment or occupational  
4 health and safety, or what is the advantage of doing that?

5 So that is just an example of the degree of  
6 detail that I would like to do as we go through this.

7 So, Mr. Pollock, would you like to start?

8 **MR. POLLOCK:** Maybe if we had the slide --  
9 it is number 6. We have it on our screen. Perhaps if we  
10 had it? This is the one you are referring to, Madam  
11 Chair? If we just walk through that, is that the best way  
12 to proceed?

13 **THE CHAIRPERSON:** Yes. And it is the other  
14 slides as well, and I am trying to gauge for slides 6 and  
15 7 and 8 the particular reason to go ahead with this  
16 weather-sensitive work, not socioeconomic, but in fact,  
17 assuming that the project goes forward, what exactly would  
18 be the advantages that would be accrued in terms of the  
19 health and safety and protection of the environment  
20 mandate?

21 So starting then with -- you don't really  
22 need, in my view -- perhaps the other Members would like  
23 it, but the -- I don't necessarily need to see slide 6. I  
24 just need to have it addressed. What does integrity of  
25 the physical barrier do under our mandate?

1                   **MR. POLLOCK:** Bob Pollock, for the record.

2                   I guess it does two things. One is related  
3                   from an occupational health and safety and environment  
4                   side. One, from the occupational health and safety side,  
5                   the whole reason for doing this is to enhance the  
6                   stability of the pit wall by reducing the water table as  
7                   much as practical with this barrier, to reduce the water  
8                   table at the pit wall and reduce the amount of water  
9                   pressure behind the pit wall to eliminate and reduce  
10                  seepage so that the better the barrier, the more effect of  
11                  that. So that underlies the whole reason for doing this.

12                  From an environmental point of view, once  
13                  one has drawn down the lake and then placed the material  
14                  and the lake comes back up to approximately its original  
15                  level, it would be preferable then not to have it drain  
16                  out or have the water levels decrease.

17                  As well, it may not be a very significant  
18                  contribution to the overall site water balance, but  
19                  basically, if more water drains into the pit, then more  
20                  water has to be treated, so one minimizes water treatment  
21                  requirements as well by minimizing the amount of seepage  
22                  that might take place.

23                  **THE CHAIRPERSON:** I will go on to my  
24                  colleagues. Well, first of all, I would like to have the  
25                  staff's view with regards to that particular item and then

1 I imagine -- I don't want to take my colleagues' questions  
2 in terms of these areas, but I think we want to walk  
3 through them somehow during this afternoon and walk  
4 through the various issues.

5 So starting with that item, would staff  
6 wish to comment?

7 **MR. HOWDEN:** Yes, Barclay Howden. I will  
8 pass it to Kevin Scissons in just a moment.

9 Our main focus, Madam Chair, is on health  
10 and safety and the integrity of this pit to protect  
11 workers who could be mining at some future time, if the  
12 Commission approves it, is the key. From our view,  
13 protecting the integrity of the pit, then there is just a  
14 cascading effect that leads to the other things, but the  
15 ultimate is health and safety -- future health and safety  
16 of people who could be working in that pit.

17 And I will ask Mr. Scissons to expand upon  
18 that.

19 **MR. SCISSONS:** Good afternoon. Kevin  
20 Scissons, Director, Uranium Mines and Lands Evaluation  
21 Division.

22 Just to expand on that, the topic on the  
23 safety and integrity of the whole pit is very key to this  
24 and it's also paramount that any activity, including this  
25 weather-sensitive work should also be undertaken in a safe

1 manner.

2 And that's why, if we can perhaps go to our  
3 slide 4, it will just hit those same components that are  
4 important. So if the dewatering of the lake and infilling  
5 of that component of the lake for the integrity of the pit  
6 is paramount to be done under this, so is the -- to  
7 undertake that kind of work, you need access to the Sue  
8 site, and that includes the roads.

9 And why I am going to slide 5 is it shows  
10 you that the area there and the muskeg and the environment  
11 of Northern Saskatchewan, to have 25-tonne trucks, for  
12 instance, traversing to and from the site, you have got to  
13 build a proper road or an access and a safe access to and  
14 from the area for the men and equipment that undertakes  
15 there. So that is the first thing about the access.

16 Any water lines that are going to be  
17 installed to relocate water from Sils Lake and on through  
18 have to be installed and properly done. We don't want any  
19 temporary pipelines. If they are going to put in a  
20 pipeline, it will be there. They might as well construct  
21 one and do it in the summer when it is safe and usable for  
22 the long term.

23 The relocation of the powerline is a  
24 preference by SaskPower, the provincial government, to do  
25 this preferably in the summer period or non-winter period.

1 That is safety for their own workers and that makes sense  
2 to us as well.

3 Of course, the overburden stripping and  
4 primarily the depositing of that material into Sils Lake  
5 continues to isolate that water from the pit as the  
6 development occurs.

7 So all of these things are clearly linked  
8 together and they are important for safety, if not on  
9 long-term safety of the pit itself but for the summer work  
10 as well being undertaken in a safe manner so it can be  
11 accomplished to achieve the ultimate goal of safe  
12 operations of the Sue E pit, if indeed that work does  
13 proceed.

14 **THE CHAIRPERSON:** Thank you. That is very  
15 complete.

16 Dr. McDill.

17 **MEMBER McDILL:** Thank you.

18 I gather freeze-up is mid-October, early  
19 November, somewhere in there? So we have less than six  
20 months to talk about here?

21 **MR. POLLOCK:** Bob Pollock, for the record.

22 Well, it starts to get snow on the ground  
23 for the winter in October. Clearly one doesn't get into  
24 sort of the mid-winter conditions, 40 below type of thing,  
25 until a bit later than that, or at least hopefully a bit

1 later than that.

2 **MEMBER McDILL:** Thank you.

3 Am I correct in assuming the land outside  
4 the surface lease limit is provincial Crown land and there  
5 is no objection from the landholder?

6 **MR. POLLOCK:** All of our work is within our  
7 surface lease, including any effect on where we are  
8 putting the material in Sils Lake.

9 **MEMBER McDILL:** I understood that the lake  
10 level wouldn't change. I just wanted to make sure that --  
11 I guess maybe staff can concur that the EA doesn't affect  
12 -- this is not going to affect the land south of the  
13 leaseholder?

14 **MR. SCISSONS:** Kevin Scissons.

15 Yes, that environmental assessment  
16 confirmed that, yes.

17 **MEMBER McDILL:** Thank you.

18 I realize there is no effect on the fish  
19 because there are no fish in this very shallow lake.  
20 Small mammals, large mammals, nothing is going to be  
21 displaced through this small amount, 16 hectares, or to  
22 that effect? COGEMA?

23 **MR. POLLOCK:** Yes, it's not a fish-bearing  
24 lake and the plan would be to simply pull the water level  
25 down enough that when we put the overburden material back

1 in the north basin, that we come back to the -- we will  
2 only take out as much water as we are going to displace  
3 with the material we put back in. An animal drinking  
4 water from the lake might have to walk a little bit  
5 further, but we would not plan to totally drain the lake.

6 **MEMBER McDILL:** Thank you.

7 Now, with respect to timing, I would have  
8 found it helpful to have seen a timeline perhaps,  
9 particularly since the design of the berm, dike, whatever  
10 it is, is not confirmed.

11 But perhaps you could roughly outline for  
12 me the timing that would take us from now until when  
13 weather-sensitive work would stop. So how long would it  
14 take to put in the pipeline? You are going to have to do  
15 a proper pipeline, so how long to build the bed? How long  
16 to put the pipes in? How long to affect the fusion welds  
17 on the pipelines and then to rebury them, et cetera?

18 **MR. POLLOCK:** I will ask Jim Corman to  
19 elaborate on that.

20 **MR. CORMAN:** Jim Corman, for the record.

21 It will take approximately a month to  
22 install the infrastructure required for the dewatering  
23 activities and the dewatering of Sils Lake itself will be  
24 done within the first month after receiving approval.

25 Following that, we will be able to have two

1 months of overburden removal and placement of the physical  
2 barrier in Sils Lake. So the first month would be  
3 infrastructure, some roads, pipelines, the dewatering.  
4 The last two months would be the physical barrier.

5 **MEMBER McDILL:** Is that staff's  
6 understanding as well?

7 **MR. FORBES:** Rick Forbes, for the record.  
8 Yes, it is, once we have approved the final  
9 design.

10 **MEMBER McDILL:** How many people are going  
11 to be involved in this work from now until it's done?

12 **MR. CORMAN:** Jim Corman for COGEMA.  
13 The work will involve earthworks movement,  
14 pipeline work, a total of approximately 20 to 30 employees  
15 working on this.

16 **MEMBER McDILL:** And I think my final  
17 question in this round has largely been answered, but  
18 there is a potential design that has been analyzed and is  
19 getting ready for approval.

20 When would this dike, if it's a dike, or  
21 berm if it's a berm, or pile of rock if it's a pile of  
22 rock, be removed?

23 **MR. CORMAN:** Jim Corman, for the record.

24 Again, we would be putting the till  
25 material into Sils Lake in the second month after

1 approval, so hopefully sometime in September.

2 **MEMBER McDILL:** I am taking it, all the way  
3 to the end of its lifetime?

4 **MR. CORMAN:** The dike itself will not -- if  
5 there is a small dike, it would be removed at the end of  
6 the mining activities. The placement of till into Sils  
7 Lake will be left there until it is needed for  
8 decommissioning activities to put till covers on top of  
9 the beds.

10 **MEMBER McDILL:** And that is staff's  
11 understanding as well?

12 **MR. FORBES:** Rick Forbes, for the record.  
13 Yes.

14 **THE CHAIRPERSON:** I have some questions  
15 with regards to the financial guarantee, perhaps some  
16 questions about the update.

17 I believe we have some people with us from  
18 Saskatoon, and that includes Saskatchewan Environment; is  
19 that correct?

20 Sorry. I should have given you a warning,  
21 I guess. I believe there is a gentleman there from  
22 Saskatchewan Environment; is that correct?

23 **MR. MOULDING:** For the record, it's Tim  
24 Moulding from Saskatchewan Environment.

25 Yes.

1                   **THE CHAIRPERSON:** Good afternoon.

2                   I was just checking the time. I see your  
3 clock. It is just about afternoon.

4                   With regards to this letter, COGEMA stated  
5 that they were in receipt of a letter from Saskatchewan  
6 Environment, if I understood that correctly, that  
7 confirmed your acceptance of the update to the preliminary  
8 decommissioning plan and the financial guarantee, if I am  
9 correct? That is what I wrote in my notes.

10                  Is that correct in terms of a letter has  
11 been sent by Saskatchewan Environment?

12                  **MR. MOULDING:** Yes, that is correct. It  
13 would have went out at the end of last week.

14                  **THE CHAIRPERSON:** Has staff received a copy  
15 of that letter?

16                  **MR. FORBES:** Rick Forbes, for the record.  
17 We left on Monday, so I don't know if it's  
18 there yet.

19                  **THE CHAIRPERSON:** I will expect that staff  
20 will receive a copy of that.

21                  So in terms of any details, could COGEMA  
22 perhaps elaborate a little bit on the changes that  
23 happened to the preliminary decommissioning plan and to  
24 the financial guarantee as a result of this summer work,  
25 just in general, some sense of what the changes were?

1                   **MR. POLLOCK:** Bob Pollock for the record.

2                   I will ask Jim to elaborate, but basically  
3 the work that we are asking permission for is preparatory  
4 work that would be done at some point in time, assuming  
5 approval was given for the Sue E pit. So it's a question  
6 of timing, not on scope.

7                   So I don't think that there is anything  
8 that we are doing in this preparatory work that is not  
9 part of the overall requirements for decommissioning the  
10 Sue E, the full project, which is what this update is  
11 predicated on.

12                  I will ask Jim to elaborate a bit.

13                  **MR. CORMAN:** Jim Corman, for the record.

14                  As Bob mentioned, the updated  
15 decommissioning plan includes the entire mining  
16 activities, taking into consideration all the mining  
17 activities of Sue E. So this preparatory work is included  
18 in that package.

19                  Specifically, for an update for Sue E, what  
20 was included was the covering of our clean waste rock  
21 stockpile to the northwest of the Sue E pit. The removal  
22 of the till material out of Sils Lake for placement as a  
23 cap on top of the placed special waste material in the Sue  
24 C and potentially Sue E pit, and then the removal of all  
25 the surface infrastructure, the additional pipelines and

1 roads.

2 **THE CHAIRPERSON:** To Mr. Moulding from  
3 Saskatchewan Environment, is that your understanding?

4 **MR. MOULDING:** Yes, that is our  
5 understanding as well.

6 **THE CHAIRPERSON:** Is that the staff's  
7 understanding as well?

8 **MR. FORBES:** Rick Forbes for the record.  
9 That is our understanding, but the document  
10 is under review by us at this point in time and we will  
11 update the Commission.

12 **THE CHAIRPERSON:** Update the Commission ---

13 **MR. SCISSONS:** It's Kevin Scissons.

14 I will elaborate. We propose, under our  
15 current review, when we go to the Commission for the  
16 August 17<sup>th</sup> hearing, to have that review complete.

17 If I can just add to it, we are doing a  
18 joint review with Sask Environment on this and we were  
19 waiting for their acknowledgement, as the financial  
20 guarantee is actually made out to Saskatchewan  
21 Environment. So we have to have their first nod on it  
22 before we can finalize our review.

23 Now, as Mr. Moulding has confirmed, that  
24 review will assist us to complete our review and the  
25 intent is to bring that to the Commission, that update,

1 for the proposed August 17<sup>th</sup> hearing.

2 In the interim, as we stated in our CMDs,  
3 the present financial assurance is sufficient to cover the  
4 requested work for this Sue E summer-sensitive or weather-  
5 sensitive work. Thank you.

6 **THE CHAIRPERSON:** Thank you.

7 While we have Saskatchewan there, Mr.  
8 Becker, you have heard the comments and the submission by  
9 COGEMA and the comments by CNSC staff with regards to the  
10 preference for this work to be done sooner than later in  
11 the weather-sensitive area, and its implications for  
12 occupational health and safety.

13 Mr. Becker, do you agree with that and are  
14 there any comments that you would like to make with  
15 regards to your views of working in Northern Saskatchewan  
16 in various seasons of the year, specifically in terms of  
17 this project?

18 **MR. BECKER:** Ernie Becker, for the record,  
19 Saskatchewan Labour.

20 Our regulations require that any open pit  
21 has to be constructed according to engineering standards.  
22 If the engineering consultant has identified that the pore  
23 water pressure presents a safety problem, then we would  
24 not allow that open pit to go ahead unless that pore water  
25 pressure problem has been rectified. It seems to me that

1 requires reducing the water table at the edge of the pit  
2 and you can't do that if it's all frozen.

3 **THE CHAIRPERSON:** Thank you.

4 Now, my question for COGEMA is to  
5 elaborate, really, on Mr. Taylor's initial question with  
6 regards to the nature of the hearing today and its impact  
7 on the subsequent hearings that are already booked,  
8 because as Mr. Taylor has said, it is important that there  
9 not be a prejudging, based on the decision today, of any  
10 decision on the further amendments to the licence that the  
11 Commission may make on the application to mine the Sue E  
12 ore body, which is the next -- is already booked as a  
13 hearing.

14 But I guess to forward that, if you wish to  
15 comment further on that -- but Mr. Taylor has discussed  
16 that.

17 But the further issue is if you did not  
18 receive this summer-sensitive work -- we have heard a  
19 little bit from Mr. Becker, particularly with regards to  
20 the impact on that -- so what would be the impact on the  
21 project from, again, more of a health and safety point of  
22 view?

23 And secondly, if you did this work that is  
24 allowed for under this amendment, if the Commission did  
25 decide to let you go ahead with this and, subsequently,

1 the later amendment was not agreed to in terms of the  
2 mining, what would exactly be the impact in terms of  
3 mitigation or reversibility, or whatever would be the  
4 appropriate comments to this project?

5 I hope that is clear in terms of the  
6 question.

7 **MR. POLLOCK:** Bob Pollock, for the record.

8 There actually seem to be two or three  
9 questions embedded within that. Let me try and deal with  
10 them one by one.

11 Perhaps from the overall perspective of  
12 going ahead with work at our own risk, this is by no means  
13 the only time we have been in that situation. For  
14 example, we have received approval to construct  
15 modifications to the JEB Mill that are substantially more  
16 expensive than the work we are talking about today without  
17 any guarantee that we will have a licence to receive the  
18 ore that those modifications are intended for. And I  
19 could go all the way back a number of years to doing  
20 things like constructing the JEB TMF without guarantee or  
21 assurance that we would actually get to use it.

22 So the concept of doing things at our own  
23 risk is by no means new to us.

24 **THE CHAIRPERSON:** But, Mr. Pollock, I want  
25 to make sure that you understand for this project, because

1 within this licensing hearing, I think that needs to be  
2 substantiated that you do understand that you were  
3 proceeding without any prejudice to the Commission in  
4 terms of the licensing that will take place in the further  
5 licence amendment.

6 **MR. POLLOCK:** Yes, I confirm the answer I  
7 gave to Mr. Taylor's question a few minutes ago that we  
8 quite understand this is at our risk. We believe that the  
9 decommissioning financial assurances provide the funds,  
10 even if we didn't do the work, that the funds are there to  
11 have it done to restore the area. The updated  
12 decommissioning plan is based on all of the activities for  
13 Sue E. So certainly it includes those activities that we  
14 would be doing in the short term.

15 **THE CHAIRPERSON:** And in terms of the  
16 ability to -- what I am getting at here is the impact if  
17 the amendment to mine the ore, say that that decision was  
18 not in favour of COGEMA, so one would have to go back to  
19 the Sue E Project, the weather-sensitive work that is  
20 before us today, and seek to -- reverse, I know, is not an  
21 applicable word in this case, but mitigate or seek to  
22 mitigate the site.

23 Has COGEMA -- and then there will be a  
24 question for the staff -- looked at this possibility in  
25 terms of exactly what would be the impact on health and

1 safety and the environment of the necessity to do that?

2 **MR. POLLOCK:** Bob Pollock, for the record.

3 Clearly, one possible outcome would be that  
4 the project would be delayed for the better part of a  
5 year. If one can't do weather-sensitive work this summer,  
6 then one needs to -- if we delayed it until the weather is  
7 fine next year, that puts close to a year's delay into the  
8 project and significantly increases the risk of a lack of  
9 ore supply to the JEB mill.

10 I acknowledge that the obvious impact of  
11 something like that is socioeconomic, but there also are  
12 environmental implications. For example, we have to  
13 collect and treat water, which leads to admittedly low  
14 levels of release, but nevertheless releases, and we have  
15 to collect and treat water whether we are producing ore or  
16 not, so that if one delays the overall schedule for a  
17 year, in the fullness of time, it will ultimately lead to  
18 a greater release of treated effluent and some increase in  
19 the contaminants involved. It also extends the overall  
20 life of the project in a sense which, on a statistical  
21 basis, leads to some level of release of increased  
22 probability for occupational injuries so that it's not  
23 totally without consequence or not totally just a  
24 socioeconomic matter to delay it. The other possibility  
25 would be to look seriously at whether we could do all this

1 in the winter or not and we have not looked closely. I  
2 mean, clearly we do many activities in the winter but we  
3 have not looked hardly -- or not of the view that that is  
4 a desirable course of action. So I guess we would like to  
5 see today's outcome before I speculated on where we would  
6 go as plan B. Do we wait a year or do we attempt to  
7 obtain approval for the winter which would not necessarily  
8 be forthcoming?

9 **THE CHAIRPERSON:** But I would like to  
10 suggest another alternative which is you talked about  
11 delays or you talked about delays in the project totally,  
12 if I get your answer correctly, or we talk about delaying,  
13 not having the approval on this amendment but having the  
14 approval on the broader project, but I would offer that  
15 the third one is that in fact we cannot prejudice the  
16 Commission's decisions on the second part. So if you  
17 received this amendment -- you received a favourable  
18 decision on this amendment and you didn't receive the  
19 decision on the second part, the bigger project, I guess  
20 what I am coming back to is just exploring the  
21 understanding of the -- it's not just the financial risk.  
22 It's the fact that you would not be doing this Sue E  
23 Project, period, if I can be very blunt about this. That  
24 is in fact the alternative that we have to look at which  
25 would mean that you wouldn't need the road. You wouldn't

1 need the powerline. You would be removing to overburden  
2 that you would have to -- well, that's for you to say what  
3 you would do and the process to isolate the stockpile  
4 overburden from the open water of the lake. So that is in  
5 essence the alternative that I am discussing.

6 **MR. POLLOCK:** Bob Pollock, for the record.

7 Well, I think the negative aspects that I  
8 outlined -- I guess the preparatory work delayed -- also  
9 apply equally if the whole Sue E Project is delayed. I  
10 would expect that if we failed to obtain approval for the  
11 project we would wish to understand what was the reason  
12 that underlie that and to address the deficiency that led  
13 to the lack of approval.

14 I doubt that we would rush out and get rid  
15 of the infrastructure unless and until it became clear  
16 that this deficiency was something that simply couldn't be  
17 remedied. It's not obvious to me at the moment what that  
18 might be. We believe the Environmental Assessment was  
19 based on a fundamentally sound project and we believe our  
20 performance overall is fairly satisfactory. So it's not  
21 clear to us what could be a fatal deficiency that we  
22 couldn't address.

23 **THE CHAIRPERSON:** I suppose, and perhaps it  
24 would be seen as belabouring this, but I think this is  
25 really important is we've had -- the Commission is doing a

1 one-day hearing in terms of looking at this weather  
2 sensitive but we cannot be prejudicing the licensing  
3 hearing, because if a company goes ahead with the ideas  
4 either from a socioeconomic point of view or from a lack  
5 of a mitigation strategy that in fact this decision  
6 encumbers the decision of the Commission in the long run;  
7 that is, that it is not possible.

8 So I guess what I am seeking in simple  
9 terms to understand is has COGEMA looked at the fact that  
10 you cannot burden the Commission. You cannot pre-judge  
11 the Commission on the bigger project. So therefore  
12 perhaps the word "mitigation" or "undue" or something is  
13 not the right term but one cannot assume that the  
14 Commission will go ahead, that the Commission will decide  
15 on the bigger project.

16 So that's what I am just seeking, is the  
17 fact that you do understand this is a separate amendment  
18 and that if the second amendment is not agreed to that you  
19 will have to address the fact that this first amendment  
20 was done and that the impact on the environment has to be  
21 looked at in terms of things can't be left half done in  
22 certain areas, and I have no idea what that impact is. So  
23 we will go to staff later but we will still rest with  
24 COGEMA for a moment.

25 **MR. POLLOCK:** Bob Pollock, for the record.

1 Well, clearly, I don't see anything that we  
2 are doing that isn't reversible so if it has to be  
3 reversed so be it. It shall be.

4 **THE CHAIRPERSON:** That's the answer I was  
5 looking for.

6 CNSC staff, please.

7 **MR. SCISSONS:** Kevin Scissons.

8 Again, if I can trouble you for our slide 4  
9 we can just touch on those again briefly. The activities  
10 proposed here for this summer-sensitive work and without  
11 prejudging what may ever happen with the Sue E pit,  
12 basically the activities here are on the access road being  
13 built out there, the powerline being relocated and some of  
14 the work on Sils Lake, the overburden stockpile and  
15 organics, that is part of the summer-sensitive work. The  
16 large Sue E pit we see here and the waste rock stockpile  
17 will only occur under that process really for the August  
18 and October Day 1 and Day 2 hearing process.

19 So if you are to not have those on the  
20 picture and just looking at the overburden I am confirming  
21 what COGEMA is saying about reversibility. This is  
22 overall only a very small component of the footprint of  
23 that facility. For environmental reasons there would be  
24 short term impacts to have the dewatered lake and  
25 stockpiled in Sils Lake and then have it removed and down

1 the road, literally to have the road removed, and the  
2 powerline eventually relocated when necessary at the  
3 conclusion of the project or sometime during an operating  
4 licence phase could still occur. The financial resources  
5 are in place. The guarantees are there and this small or  
6 short-term impacts on the overall picture of the McClean  
7 Lake site are reversible and doable.

8 Thank you.

9 **THE CHAIRPERSON:** Thank you very much.

10 Further questions? Mr. Taylor.

11 **MEMBER TAYLOR:** Page 15 of your  
12 presentation and in the associated text, you said that  
13 "conducting the work described in this submission in the  
14 summer has advantages in terms of occupational safety and  
15 environmental protection". You reference the fact that  
16 getting on with this might reduce the amount of discharge  
17 that you have to make. Are there any other advantages to  
18 environmental protection for doing this work early?

19 **MR. POLLOCK:** Yes, Bob Pollock, for the  
20 record.

21 Certainly, pipelines that are built in the  
22 summer would be less likely to leak in future, not that we  
23 can't respond to leaks but better to avoid them in the  
24 first place.

25 Also, we would like to effectively strip

1 off what is in many places a very thin layer of organic --  
2 in effect topsoil. We don't have a lot of it up there and  
3 we would like to strip that off and stockpile it  
4 separately so it's very useful for future reclamation.  
5 That's much easier. In fact, it's not really practical if  
6 it is frozen hard. It is too thin a layer. So to strip  
7 organics you need to do it in the summer and stockpile  
8 them separately, you need to do that in summer as well.

9 **MEMBER TAYLOR:** Thank you.

10 I have one question for staff. Will CNSC  
11 staff be visiting the site during the summer period?

12 **MR. FORBES:** Rick Forbes, for the record.

13 We have got at least one inspection  
14 scheduled and probably a second one for this time period.

15 **MEMBER TAYLOR:** So you will see firsthand  
16 this work in action?

17 **MR. FORBES:** That's correct.

18 **MEMBER TAYLOR:** Thank you.

19 **THE CHAIRPERSON:** Dr. McDill.

20 **MEMBER McDILL:** Thank you, a couple of last  
21 quick questions.

22 The dewatering pipeline will remain active  
23 for the duration of the project; is that correct, only be  
24 used when the lake is not frozen, I assume?

25 **MR. CORMAN:** Jim Corman, for the record.

1           The dewatering pipeline, there will be a  
2 pipeline from Sils Lake to dewater it temporarily until we  
3 get the fill placed in and then it will be removed. The  
4 pipeline from Sue E pit to Sue C will be in for the  
5 duration of the mining.

6           **MEMBER McDILL:** I'm sure that this has been  
7 dealt with. What is going to prevent flooding of the lake  
8 with massive amounts of spring runoff if there is nothing  
9 to continue it from flooding over?

10          **MR. CORMAN:** Jim Corman, for the record.

11           The lake itself is essentially a perched  
12 lake without an outflow to it. We are not looking at  
13 changing the outflow of this lake or anything with that so  
14 whatever is happening with the spring runoff now will  
15 happen in the future.

16          **MEMBER McDILL:** Thank you for letting me  
17 know it is a perched lake.

18           Staff, are you in agreement with that when  
19 you have removed that much catchment?

20          **MR. FORBES:** Rick Forbes, for the record.

21           We will have to review the design that they  
22 have submitted with the geotechnical report to analyze  
23 that, but that is one of the things that we will be  
24 watching for, is making sure that that water is kept far  
25 enough away from the pit edge.

1                   **MEMBER McDILL:** Thank you.

2                   I am concerned about the pore water  
3                   pressure, but I am also concerned about flooding  
4                   elsewhere. I realize there is nothing there, but still,  
5                   flooding is flooding.

6                   **MR. FLAVELLE:** For the record, I am Peter  
7                   Flavelle, with the Waste and Geoscience Division.

8                   The potential flooding of the lake with  
9                   spring runoff or any large storm events is one of the things  
10                  that we will look at in the design of the operation of having  
11                  the lake infilled for this period of time. Our surface water  
12                  hydrologists will be looking at those issues as part of our  
13                  technical review of what we have just received.

14                  **MEMBER McDILL:** So that will occur  
15                  presumably before mid-August. If this is granted COGEMA is  
16                  going to go ahead with the beginning of the infrastructure and  
17                  about a month from approval they are going to start putting  
18                  stuff in Sils Lake. So that has to be resolved before then; is  
19                  that correct?

20                  **MR. POLLOCK:** Bob Pollock, for the record.

21                  Should there be either uncertainty or a  
22                  need, it is quite practical to leave the pipeline there to  
23                  maintain it in service to further dewater the lake to maintain  
24                  levels, should that be necessary.

25                  **MEMBER McDILL:** Thank you.

1                   **THE CHAIRPERSON:** I just would like to go  
2 back to staff comments. COGEMA mentioned about the  
3 segregation of the organic topsoil in this summer work  
4 project and stockpiling it.

5                   Has staff any comments with regard to that  
6 process and benefits or concerns that you would have about  
7 that?

8                   **MR. BIRD:** Glenn Bird, for the record,  
9 Environmental Protection.

10                  The saving of the topsoil by COGEMA for  
11 future reclamation is the acceptable practice and it is to  
12 be encouraged. There is a shortage of organic material up  
13 in the north and for remediation work in terms of covering  
14 areas and vegetation you need to salvage whatever till and  
15 fine material and organic layers that you can for future  
16 use, for decommissioning.

17                  **THE CHAIRPERSON:** So in fact, from COGEMA's  
18 point of view, the process and the life of this mine site  
19 is such that the preservation of this organic topsoil is  
20 feasible, it is technically feasible, for the life of the  
21 mine in order to have it for reclamation later?

22                  **MR. POLLOCK:** Yes, we separate these  
23 organic topsoils and put them in a separate stockpile so  
24 that they will be there many years in the future when we  
25 need to go back and do reclamation work and re-vegetation.

1                   We also try to do ongoing reclamation work  
2 with those areas that have been disturbed and they are not  
3 going to be disturbed ever again over the future life of  
4 the mine. You know, one can do reclamation in those areas  
5 sooner rather than later, which is to be preferred as  
6 well.

7                   **THE CHAIRPERSON:** Are there any further  
8 questions?

9                   Therefore, this completes the record for  
10 the public hearing on the matter of the Application by  
11 COGEMA Resources Inc. for the amendments to the McClean  
12 Lake operations, Uranium Mine and Milling Operating  
13 Licence to allow summer sensitive work for the Sue E  
14 Project.

15                   Thank you very much.

16                   --- Upon adjourning at 2:46 p.m.

17  
18  
19  
20  
21  
22  
23  
24  
25