

DEEP GEOLOGIC REPOSITORY
JOINT REVIEW PANEL

HEARING HELD AT

Public Hearing Room
14th floor
280 Slater Street
Ottawa, Ontario

Tuesday, February 21, 2012

JOINT REVIEW PANEL

Ms. Stella Swanson
Dr. Gunter Muecke
Dr. Jamie Archibald

PANEL CO-MANAGER

Ms. Kelly McGee

COUNSEL

Ms. Lucille Collard

Transcription Services By:

International Reporting Inc.
41-5450 Canotek Road
Gloucester, Ontario
K1J 9G2
www.irri.net
1-800-899-0006

(ii)

TABLE OF CONTENTS / TABLE DES MATIÈRES

	PAGE
Opening Remarks	1
Presentation by Ontario Power Generation and Nuclear Waste Management Organization	7
Questions by the panel	35
Presentation from the Canadian Nuclear Safety Commission	59
Questions by the panel	92
Presentation from Fisheries and Oceans Canada	118
Questions by the panel	125
Presentation from Environment Canada	134
Questions by the panel	152
Presentation from Health Canada	168
Questions by the panel	175
Presentation from Natural Resources Canada	183
Questions by the panel	190

Ottawa, Ontario

1

2

3 --- Upon commencing at 9:05 a.m.

4

5

6 **MS. MCGEE:** Bonjours mesdames
7 et messieurs, bienvenue à la réunion publique de la
8 Commission d'examen conjoint pour le projet de
9 stockage de déchets radioactifs à faible et moyenne
10 activité dans des formations géologiques profondes.

10

11

12 Welcome to the first public
13 meeting of the Joint Review Panel for the Deep
14 Geologic Repository Project for Low and
15 Intermediate Level Radioactive Waste.

15

16 My name is Kelly McGee. I am
17 the co-manager for the Joint Review Panel.

17

18 J'aimerais aborder certains
19 aspects touchant le déroulement de cette réunion.

19

20 The Joint Review Panel was
21 appointed on January 24, 2012. The public review
22 and comment period began on February 2nd, 2012.

22

23 Today's meeting is an initial
24 public orientation providing the Applicant and
25 representatives from the federal review team with
an opportunity to provide overviews focused on the

1 organization of the documents filed to date in
2 support of the application, together with an
3 explanation of the mandate and responsibilities of
4 the Canadian Nuclear Safety Commission and other
5 expert federal authorities.

6 During today's business we have
7 simultaneous translation. Des appareils de
8 traduction sont disponibles à la réception. La
9 version française est au poste 2, the English
10 version is on channel 1. Please keep the pace of
11 your speech relatively slow so that the translators
12 can keep up.

13 La réunion est enregistrée et
14 transcrite textuellement. Les transcriptions se
15 font dans l'une ou l'autre des langues officielles
16 compte tenu de la langue utilisée par le
17 participant. Les transcriptions seront disponibles
18 sur le site web de la commission dès la semaine
19 prochaine.

20 Please identify yourself before
21 speaking so that the transcripts are as clear and
22 complete as possible.

23 I'd also like to note that this
24 session is being video webcasted live and that the
25 webcast will be archived on the CNSC website.

1 Please silence your cell phones
2 and other electronic devices.

3 Dr. Swanson, the Chair of the
4 Joint Review Panel, will provide at today's
5 meetings.

6 Dr. Swanson.

7 **THE CHAIRPERSON:** Good morning
8 everyone and welcome to the public orientation
9 session of the Deep Geologic Repository Joint
10 Review Panel.

11 My name is Stella Swanson.
12 Welcome to all of you here today and to those of
13 you who are joining us via webcast.

14 I would like to begin by
15 introducing the Members of the Joint Review Panel.
16 On my right is Dr. Gunter Muecke and on my left is
17 Dr. Jamie Archibald. You have heard from the
18 Panel's co-manager Kelly McGee; seated to my right
19 is counsel Lucille Collard.

20 I would like to address a few
21 matters before we begin today's presentations.

22 This Panel was appointed by the
23 Minister of the Environment, the Honourable Peter
24 Kent, in agreement with the President of the
25 Canadian Nuclear Safety Commission, Mr. Michael

1 Binder.

2 The actual and perceived
3 impartiality and neutrality of the Panel Members is
4 of utmost importance to both the Government of
5 Canada and to each of us as the Panel Members.

6 We intend to conduct a
7 transparent, inclusive, and comprehensive review of
8 all documents submitted for the environmental
9 assessment and licensing application for this
10 project. Only in exceptional circumstances, where
11 information is protected by Canada's access to
12 information or privacy laws, will such information
13 be excluded from public review.

14 The Panel is bound by the
15 obligations and requirements set out in such
16 documents as the Joint Panel Agreement,
17 Environmental Impact Statement Guidelines, *Nuclear*
18 *Safety and Control Act*, and the *Environmental*
19 *Assessment Act*.

20 We welcome and encourage the
21 participation of federal, provincial, and municipal
22 government organizations, Aboriginal groups, and
23 members of the public.

24 If at any time during a review
25 you have questions for the Panel or wish to

1 communicate with us, please direct your
2 correspondence to the Panel's co-managers.

3 Alternatives for contacting the
4 Panel Secretariat are available on the Canadian
5 Environmental Assessment Agency website for this
6 project.

7 The Panel co-managers, together
8 with other members of the Panel Secretariat will
9 ensure that information for the Panel's
10 consideration is brought to our attention and all
11 submissions are posted on the public registry.

12 For media enquiries I would ask
13 you to contact Ms. Lucille Jamault. Ms. Jamault's
14 coordinates are also available on the project
15 website. Ms. Jamault, for those people in the room
16 today, could you please identify yourself? She's
17 at the back. Thank you.

18 I would like to emphasize that
19 while the agenda for today's orientation provides
20 time for questions from the Panel, our questions
21 will be limited to those associated with the
22 purpose of today's meeting.

23 The purpose of this orientation
24 session is to inform the Panel, us, about the
25 organization of the environmental impact statement

1 and licence application documents, as well as the
2 mandate and responsibilities of the Canadian
3 Nuclear Safety Commission and the expert federal
4 authorities.

5 The public was invited to
6 observe this orientation session, either in person
7 or by watching the webcast. We unfortunately
8 cannot accommodate questions from the public during
9 today's session but there will be further
10 opportunities in the future.

11 This being said, the Panel
12 encourages anyone to forward written questions to
13 the Panel Secretariat regarding any matters
14 discussed today. The Panel will review these
15 questions related to information presented at
16 today's orientation and endeavour to post responses
17 on the project website.

18 In addition to submitting
19 questions arising from today's orientation, the
20 public review and comment period that began on
21 February 2nd, 2012 is an opportunity for everyone to
22 provide their views to the Panel on whether the
23 environmental impact statement and documents
24 submitted in support of the licence application
25 adequately address the guidelines issued to the

1 Proponent, Ontario Power Generation.

2 If you have not already done
3 so, please take a minute to visit the project
4 website and register as an interested party. This
5 will ensure that all major announcements by the
6 Panel are automatically forwarded to you by email.
7 Thank you.

8 I would now like to call upon
9 Ontario Power Generation and the Nuclear Waste
10 Management Organization to begin their joint
11 presentation.

12 Mr. Sullivan, the floor is
13 yours.

14

15 **Presentation by**
16 **Ontario Power Generation**
17 **and Nuclear Waste Management**
18 **Organization**

19

20 **MR. SULLIVAN:** Thank you, Dr.
21 Swanson, and good morning.

22 For the record, my name is Gord
23 Sullivan, Project Manager of the Deep Geologic
24 Repository Project at Ontario Power Generation.

25 I am accompanied here today by,

1 on my left, John Lotoski, Director, Nuclear
2 Decommissioning, Ontario Power Generation, and on
3 my right, Frank King, Vice-President and Chief
4 Engineer, Nuclear Waste Management Organization.

5 We are pleased to be here today
6 to provide the Joint Review Panel with an overview
7 of the Deep Geologic Repository Project and to
8 describe the environmental assessment and licensing
9 material that OPG (Ontario Power Generation)
10 submitted in April 2011 in support of our
11 application for a site preparation and construction
12 licence for the project.

13 We will first provide you with
14 a brief overview of the project and then we'll
15 describe at a high-level the contents of the
16 various documents that are part of the April 2011
17 submission.

18 The purpose of the DGR facility
19 is to provide permanent, long-term management of
20 the low and intermediate level radioactive waste
21 produced by OPG-owned or operated nuclear reactors.

22 Currently, this means all the
23 reactors on the Pickering, Bruce, and Darlington
24 reactor sites.

25 Low and intermediate level

1 radioactive wastes are radioactive materials that
2 result from the operation, maintenance, and
3 refurbishment of nuclear power reactors with the
4 exception of used nuclear fuel.

5 Used nuclear fuel will not be
6 put into OPGs proposed Deep Geologic Repository for
7 low- and intermediate-level waste.

8 Slide 4 describes the type of
9 waste that will be placed into the DGR. Low-level
10 waste is primarily short-lived and typically
11 consists of contaminated rags, plastic, mops, tools
12 and paper.

13 Approximately 2,000 to 3,000
14 cubic metres is stored every year at OPGs Western
15 Waste Management Facility. Intermediate-level
16 waste contains primarily long-lived radio nuclides
17 and typically consists of contaminated resins,
18 spent filters, and reactor core components.

19 Approximately 200 cubic metres
20 of this type of waste is stored every year at OPGs
21 Western Waste Management Facility. Radioactive
22 liquids will not be placed into the DGR.

23 At present, a total of
24 approximately 90,000 cubic metres of low- and
25 intermediate-level waste is stored at the Western

1 Waste Management Facility.

2 The DGR will accommodate
3 approximately 200,000 cubic metres of packaged low-
4 and intermediate-level waste. Subject to
5 appropriate licences for each phase, the project
6 includes the following.

7 First, site preparation and
8 construction of the DGR followed by operation of
9 the facility, which entails waste emplacement and a
10 period of monitoring prior to decommissioning.

11 Then after a decision to close
12 the facility has been made, the DGR will be
13 decommissioned. This will involve dismantling of
14 the surface facilities and permanently sealing the
15 shafts.

16 After closure, the facility
17 will enter the post-closure phase. The facility
18 location is adjacent to the Western Waste
19 Management Facility at the Bruce Nuclear site in
20 the Municipality of Kincardine.

21 Slide 6 shows the DGR site
22 location within Ontario. It is shown in the
23 centre-left of the figure, near the town of
24 Tiverton. The DGR is located approximately 10
25 kilometres from the village of Tiverton and

1 approximately 2 kilometres from the nearest hamlet
2 of Inverhuron. The boundaries shown on this figure
3 relate to the study areas associated with the
4 environmental assessment.

5 Slide 7 shows the location of
6 the DGR Project site in the context of the overall
7 Bruce Nuclear site. Ontario Power Generation is
8 the owner of the Bruce Nuclear site and of the
9 reactors at the Bruce A and Bruce B Generating
10 Stations. The reactors, and a large part of the
11 site, are currently leased to Bruce Power, a
12 private company.

13 The Bruce Nuclear site is also
14 the location of OPGs Western Waste Management
15 Facility which has provided centralized, interim
16 storage for all of the low- and intermediate-level
17 level waste generated at the Pickering, Bruce and
18 Darlington reactors since 1974.

19 The Western Waste Management
20 Facility will continue to receive volume reduce and
21 store low- and intermediate-level waste, for
22 subsequent transfer of the waste to the DGR.

23 The Western Waste Management
24 Facility is located just south of the DGR Project
25 site in the middle of this figure. Both the DGR

1 Project site and the Western Waste Management
2 Facility site are located on OPG-retained lands;
3 that is those not leased to Bruce Power.

4 The various facilities
5 included in the GDR are described and illustrated
6 in Slides 8 and 9, respectively. The surface
7 facilities include a waste package receiving
8 building where the waste will be received from the
9 Western Waste Management Facility for emplacement
10 in the DGR. An amenities building will accommodate
11 staff offices. The surface facilities also include
12 head frames, a waste rock management area and a
13 storm water management area.

14 The underground portion of the
15 DGR will be located at a depth of about 680 metres
16 in low permeability limestone formation which is
17 located below 200 metres of low permeability shale.
18 The underground facilities include access tunnels,
19 emplacement rooms and a service area. Access to
20 the underground facilities will be through two
21 shafts; the main shaft and the ventilation shaft.

22 Slide 9 presents illustrations
23 of the surface and underground layouts of the DGR.
24 The image on the left shows the main and
25 ventilation shaft head frames and the other DGR

1 surface buildings.

2 The roadway at the bottom right
3 of this figure is where waste will arrive from the
4 Western Waste Management Facility.

5 The image on the right shows
6 the underground layout of the repository. The DGR
7 design has 31 rooms for the emplacement of waste.
8 Each room is about 8 metres wide by 7 metres high
9 by 250 metres long. At the forefront of this
10 illustration are a number of additional rooms for
11 underground services.

12 The DGR is expected to go into
13 operation about 6 years after the granting of the
14 site preparation and construction licence and is
15 currently assumed to receive waste for about 35
16 years.

17 The DGR will be an OPG-owned
18 facility and OPG will hold the site preparation
19 construction licence, if granted. Work started on
20 the DGR Project in 2002 and subsequent project
21 development activities are fully described in the
22 Environmental Impact Statement.

23 In 2007, most OPG staff working
24 on the project were seconded to the Nuclear Waste
25 Management Organization, referred to as the NWMO in

1 the rest of this presentation, and they later
2 became employees of the NWMO.

3 In 2009, OPG formally
4 contracted with the NWMO to manage the regulatory
5 approvals phase of the project on its behalf. In
6 early 2011, OPG further contracted with the NWMO to
7 manage the design and construction phase of the
8 project. All of NWMO's work on the DGR Project is
9 overseen by OPG.

10 The NWMO is a non-profit
11 company established in 2002 by OPG, Hydro Quebec
12 and New Brunswick Power in accordance with the
13 *Federal Nuclear Fuel Waste Act*. The main mandate
14 of the NWMO is to implement adaptive-phased
15 management, the Government of Canada's selected
16 approach for the long-term management of all of
17 Canada's nuclear fuel waste.

18 In meeting this mandate, the
19 NWMO is currently conducting a siting program to
20 find an informed and willing community to host a
21 deep geologic repository for Canada's nuclear fuel
22 waste. The NWMO is also developing the associated
23 technology.

24 OPGs low- and intermediate-
25 level waste DGR Project and the NWMOs used fuel DGR

1 Project are two completely separate projects.

2 I would now like to turn over
3 the presentation to Frank King who manages the
4 regulatory approvals phase work being conducted at
5 the NWMO in support of this project.

6 **MR. KING:** Thank you.

7 For the record, my name is
8 Frank King. I am Vice-President and Chief Engineer
9 at the Nuclear Waste Management Organization.

10 To begin, I would like to
11 introduce a number of other staff from the Nuclear
12 Waste Management Organization who are here today
13 and are available to assist in answering any
14 questions you may have.

15 Derek Wilson, Vice-President
16 Design and Construction; Diane Barker, Manager
17 Environmental Assessment; Mark Jensen, Director
18 Geoscience; Paul Gierszewski, Director Repository
19 Safety; and Atika Khan, Director Regulatory
20 Affairs.

21 So Slide 11 shows that the
22 regulatory submission -- sorry -- the Regulatory
23 Submission is comprised of two primary documents,
24 Environmental Impact Statement and the Preliminary
25 Safety Report. In addition, a number of licensing

1 support materials are included in the submission.

2 In my presentation, Slides 11
3 to 26 deal with the Environmental Impact Statement
4 and its supporting documents, and Slides 27 to 42
5 deal with the Preliminary Safety Report and its
6 supporting documents and other licensing support
7 material.

8 The Preliminary Safety Report
9 and a number of its supporting documents also
10 support the Environmental Impact Statement.

11 Before I begin, I would like to
12 mention that these documents are the culmination of
13 10 years of work on the project, including five
14 years of field investigations.

15 Slide 11 illustrates the
16 roadmap for the Environmental Impact Statement and
17 its technical support documents.

18 The information in the
19 Environmental Impact Statement has been submitted
20 to meet the requirements of the *Canadian*
21 *Environmental Act* and assesses whether there will
22 be any significant adverse environmental effects
23 from the project. It considers the entire life
24 cycle of the project; that is, site preparation and
25 construction, operations, decommissioning and post

1 closure.

2 The Environmental Impact
3 Statement is comprised of three binders, with one
4 binder containing the main report and the other two
5 binders containing appendices. For the remainder
6 of the presentation, I will be referring to the
7 Environmental Impact Statement as the EIS.

8 There's also a plain language
9 EIS summary report as required by the EIS
10 Guidelines. The EIS summary report includes a DVD
11 which provides a video description of the DGR
12 project, and a CD which contains .pdf files for the
13 EIS and its technical support documents.

14 Slides 13 and 14 list the
15 section titles of the EIS. These section titles
16 follow the structure recommended in the EIS
17 Guidelines issued by the Minister of the
18 Environment in January 2009.

19 Section 1 provides an overview
20 of the project, the proponent and the approach to
21 the assessment, including the consideration of
22 Aboriginal traditional knowledge, sustainable
23 development and the precautionary principle. It
24 also outlines how international agreements have
25 been considered.

1 Section 2 describes the public
2 participation program that began in 2002 and
3 included interested stakeholders locally,
4 regionally and in the United States, as well as
5 Aboriginal communities and the planned engagement
6 program for future phases of the project.

7 Section 3 describes the purpose
8 and need for the project and outlines the
9 assessment of alternatives to, and the alternative
10 means, of carrying out the project, and concludes
11 with the identification of the DGR project as the
12 preferred alternative.

13 Section 4 provides a
14 description of the project, identifies
15 representative malfunctions, accidents and
16 malevolent acts for the project, and describes
17 modifications that could be made to the project
18 throughout its life.

19 Section 5 defines the spatial
20 boundaries used in the conduct of the environmental
21 assessment. These are the regional study area, the
22 local study area, the site study area and the
23 project area which were previously shown on Slide
24 6.

25 The contents of Section 6 of

1 the EIS are well described by its title.

2 The Table of Contents for the
3 EIS main report continues on Slide 14.

4 Section 7 describes the method
5 used for the assessment of the DGR project, both
6 direct and indirect effects of the DGR project as a
7 result of normal operations during the site
8 preparation and construction. Operations and
9 decommissioning are considered in this section, as
10 are potential effects during post closure.

11 It includes the assessment of
12 several ecological, multi-featured valued ecosystem
13 components including Lake Huron, Stream C, railway
14 ditches and the wetland area within the project
15 area.

16 These valued ecosystems
17 components are only assessed in Section 7 of the
18 EIS and not in the supporting technical support
19 documents, as they involve consideration of several
20 environmental components.

21 Section 10 describes cumulative
22 environmental effects, that is, the incremental
23 environmental effects caused by the DGR project
24 combined with the effects of other projects past,
25 present or reasonably foreseeable.

1 Section 13, a detailed table
2 can be found which summarizes likely environmental
3 effects, mitigation measures, residual adverse
4 effects and the proposed follow-up monitoring
5 related to each of the valued ecosystem components
6 assessed in the environmental assessment.

7 The contents of Sections 8, 9,
8 11 and 12 are also well described by their titles.

9 Slide 15 lists the appendices
10 of the EIS. In Appendix A, there is a concordance
11 table which identifies where in the submission
12 package you can find the information requested in
13 each section of the EIS Guidelines.

14 Appendix C presents the human
15 health assessment, which includes a human health
16 risk assessment. The human health assessment
17 incorporates results from the assessment of
18 project-related effects on biophysical and social
19 environmental components. It includes an
20 assessment of the effect on representatives of the
21 Aboriginal community separate from that of the
22 general population.

23 In support of the Environmental
24 Impact Statement, there are nine technical support
25 documents as listed in Slide 16. These documents

1 contain the detailed assessment of expected and
2 possible environmental effect impacts during all
3 phases of the DGR project, the results of which are
4 then summarized in the Environmental Impact
5 Statement itself.

6 Aboriginal traditional
7 knowledge, to the extent it is available, is also
8 described and included in the assessments in
9 selected technical support documents.

10 I will speak to each of the
11 technical support documents, indicating what type
12 of valued ecosystem components are used in each
13 report to focus the assessments of the effects of
14 the DGR project.

15 The valued ecosystem components
16 used are those listed in EIS Guidelines with
17 rationale provided for the few exceptions.

18 The atmospheric environment
19 technical support document assesses the potential
20 non-radiological impacts of the DGR project on air
21 quality and noise levels. This technical support
22 document also includes the assessment of light and
23 vibration which is carried forward to be used in
24 the assessment of effects on terrestrial and
25 aquatic valued ecosystem components. This TSD also

1 discusses any effects of the project on climate.

2 The aquatic environment
3 technical support document assesses the potential
4 non-radiological impacts of the DGR project on six
5 types of fish, one type of plant, burrowing
6 crayfish and benthetic invertebrates.

7 The terrestrial environment
8 technical support document assesses the potential
9 non-radiological impacts of the DGR project on one
10 type of tree, two types of plant, three types of
11 mammals, five types of birds and two types of
12 amphibians.

13 The hydrology and surface water
14 quality technical support document assesses the
15 potential impacts of the DGR project on surface
16 water quantity and flow and surface water quality.

17 The geology technical support
18 document assesses the potential impacts of the DGR
19 project on soil quality, overburdened groundwater
20 quality and transport, shallow bedrock groundwater
21 quality and solute transport, and intermediate and
22 deep bedrock water quality and solute transport.

23 The radiation and radioactivity
24 technical support document assesses the potential
25 impacts of radioactive dose resulting from the DGR

1 project on all components of the environment
2 regardless of the physical media through which
3 radionuclides are transported, for example, air or
4 water.

5 The radiation and radioactivity
6 technical support document considers the impact of
7 radiation dose to humans and to non-human biota.

8 The socio-economic environment
9 technical support document assesses the potential
10 impacts of the DGR project on population and
11 demographics, employment, business activity,
12 tourism, residential property values, municipal
13 finance and administration, housing, municipal
14 infrastructure and services, and on the nearby
15 Inverhuron Provincial Park.

16 The Aboriginal interests
17 technical support document assesses the potential
18 impacts of the DGR project on Aboriginal
19 communities, Aboriginal heritage and resources, and
20 traditional use of land and resources.

21 The malfunctions, accidents,
22 and malevolent acts technical support document is
23 somewhat different than the previously discussed
24 technical support documents in that it assesses the
25 potential impacts; both radiological and non-

1 radiological from postulated malfunctions,
2 accidents, and malevolent acts on humans and non-
3 human biota. The other technical support documents
4 only assess the potential impacts as a result of
5 planned activities.

6 The DGR EA follow-up monitoring
7 report brings together the proposed follow-up
8 monitoring activities recommended in the technical
9 support documents provides additional information
10 related to monitoring locations, acceptance
11 criteria, and frequency and duration of proposed
12 monitoring activities.

13 Detailed plans for
14 environmental monitoring activities during site
15 preparation and construction will be based on this
16 document. This document also proposes monitoring
17 for the operations phase.

18 This concludes my presentation
19 on the environmental impact statement and its
20 supporting documents. I will now move on to the
21 presentation of the preliminary safety report, its
22 supporting documents, and additional licensing
23 support materials included in the submission
24 package.

25 Slide 27 illustrates the

1 licensing documents roadmap that includes
2 preliminary safety report and its supporting
3 documents as well as other licensing support
4 documents.

5 The information in the
6 preliminary safety report has been submitted to
7 meet the requirements to obtain a site preparation
8 and construction licence. It assesses the safety
9 of the project against the regulatory requirements
10 applicable to the project.

11 The preliminary safety report
12 and a number of its supporting reports are called
13 "preliminary"; this is because they will be updated
14 and finalized in support of an operating licence
15 application as is normal practice.

16 I will now outline the
17 structure and content of the preliminary safety
18 report, its supporting documents, and other
19 licensing support documents to assist you in
20 determining where specific information can be
21 found.

22 The preliminary safety report
23 is comprised of one binder, shown on the left.
24 There are also 10 technical reports in the
25 submission package that directly support the

1 preliminary safety report.

2 Other licensing support
3 materials have been put into a second, smaller
4 binder for convenience, as shown on the right. The
5 material is outlined on the next slide.

6 The first four items on Slide
7 29 are submitted to meet submission requirements
8 and regulations pursuant to the *Canadian Nuclear*
9 *Safety and Control Act* to obtain a site preparation
10 and construction licence.

11 The two management system
12 documents describe the organizational structures
13 and governance within OPG and the NWMO respectively
14 for the management of the design and construction
15 phase of the project.

16 The compliance matrix is a
17 table which shows where in the submission package
18 evidence is provided that the specific requirements
19 and regulations pursuant to the *Nuclear Safety and*
20 *Control Act* are met.

21 Slides 30 and 31 provide the
22 chapter titles in the preliminary safety report.

23 You will note that there's some
24 duplication of information between the
25 environmental impact statement and the preliminary

1 safety report. This is necessary because both
2 reports have specific needs in supporting the
3 environmental assessment and licensing processes.

4 Chapter 1 outlines the safety
5 objectives for the project and the applicable
6 safety criteria. It also lists applicable
7 regulatory guidance documents.

8 Chapter 5 describes the waste
9 proposed to be in place in the DGR.

10 Chapter 6 contains the
11 description of the facility for which a site
12 preparation and construction licence is being
13 sought.

14 Also for clarity pre-closure
15 safety assessment in Chapter 7 refers to the
16 operational period of the DGR up to the point where
17 the shafts are sealed as part of decommissioning.

18 Post-closure safety assessment
19 in Chapter 8 refers to the long-term; the period
20 after the shafts have been sealed.

21 Chapter 9 describes the
22 activities for which the licence is being sought.

23 The PSR table of contents
24 continues on Slide 31.

25 Chapter 10 describes practices

1 to be followed during the operational phase of the
2 DGR facility.

3 Chapter 11 describes the
4 quality management systems followed on the project
5 to date and the quality management program to be
6 followed during site preparation and construction.

7 Chapter 10 (sic) describes how
8 OPG's public information and involvement program is
9 planned to be conducted in future and how it will
10 meet applicable regulatory expectations.

11 Chapter 13 summarizes the
12 preliminary decommissioning plan for the DGR which
13 I will be speaking to later and it also describes
14 the design of the shaft seals which will be
15 constructed as part of decommissioning.

16 In Chapter 14 you will find a
17 table which summarizes the analyses and evidence
18 that support the safety case for the DGR, indicates
19 where in the PSR and associated detailed
20 assessments the evidence can be found.

21 Slide 32 lists the 10 technical
22 reports that directly support the preliminary
23 safety report. These reports also provide support
24 to the EIS in some areas.

25 I will go through each of the

1 reports one by one and provide a brief description
2 of their contents.

3 The reference low and
4 intermediate level waste inventory report defines
5 the wastes to be managed in the DGR. Based on the
6 wastes already in interim storage at OPG's Western
7 Waste Management Facility and assuming a scenario
8 for the future operation of OPG reactors, it
9 provides an estimate of waste volumes and
10 characteristics resulting from future reactor
11 operation and refurbishment. It provides
12 information related to volumes of different waste
13 types, waste container types and dimensions, types
14 of materials in the waste; for example, paper,
15 wood, metal, plastic, the radionuclides in the
16 waste and non-radioactive, potentially hazardous
17 materials in the waste.

18 The descriptive geosphere site
19 model report presents a description and explanation
20 of the undisturbed subsurface environment based on
21 findings from detailed geoscientific site
22 characterization activities that were conducted at
23 the site during the period 2006 to 2010.

24 Information presented in this
25 report was obtained from 60 bore holes drilled at

1 the site to a depth of about 850 metres, as well as
2 from three shallow bore holes in the upper 100 to
3 200 metres.

4 The descriptive geosphere site
5 model also presents and discusses the results of a
6 2D seismic reflection survey that was conducted on
7 the site in 2006.

8 Based on results of the site
9 characterization program and other available
10 information, descriptive geological, hydro
11 geological and geomechanical site models were
12 developed and are presented in this report.

13 The geosynthesis report is a
14 geoscientific explanation of the overall
15 understanding of the site characteristics,
16 attributes and evolution, both past and future, as
17 they relate to demonstrating long-term performance
18 and safety of the proposed repository.

19 It presents seven key
20 hypotheses that relate to geoscientific site
21 attributes and characteristics that are used to
22 evaluate site suitability. It then provides
23 multiple lines of evidence based on site
24 characterization results, available regional and
25 other information to assess the seven geoscientific

1 hypotheses.

2 The geoscientific verification
3 plan report describes the plan to obtain additional
4 geoscientific information to confirm subsurface
5 geologic and geotechnical conditions as now
6 understood from surface-based studies during future
7 shaft sinking and lateral development activities
8 during site construction.

9 It describes the program to map
10 and image the shaft walls as the shafts are being
11 sunk, amongst other objectives. It also describes
12 a range of activities that will be carried out to
13 characterize the excavation damage zone at the
14 periphery of the shaft walls to confirm safety
15 assessment assumptions.

16 The report also describes tests
17 that will be conducted to characterize the *in situ*
18 stress regime at the repository horizon as input to
19 the final design of underground openings.

20 The preliminary conventional
21 safety assessment report documents an assessment of
22 conventional hazards to workers during site
23 preparation, construction and operational phases of
24 the project. This is done as an input to final
25 design and the preparation of the health and safety

1 management plan for construction.

2 The report does not assess
3 radiological hazards. These are assessed in the
4 pre-closure safety assessment and are reported in
5 Chapter 7 of the preliminary safety report.

6 The assessment is conducted
7 using a screening process hazard analysis
8 methodology combined with a job safety analysis
9 approach. The results of these analyses, as well
10 as identified control and mitigation measures are
11 documented in this report.

12 The radon assessment report
13 analyzes any possible radiological hazard to
14 workers and to the public from naturally occurring
15 radon that might be present during underground
16 construction or operation, or that might be
17 emanating from the waste rock management pile at
18 the DGR site.

19 The preliminary ALARA
20 assessment report analyzes radiation dose to
21 workers during the operation of the DGR and
22 identifies opportunities for dose reduction. This
23 radiation dose may be incurred in the transfer of
24 waste packages from surface to underground and in
25 the maintenance of the DGR facility.

1 The results of this assessment
2 are used for the optimization of certain aspects of
3 design and operational practices.

4 ALARA means "as low as
5 reasonably achievable".

6 The maximum flood hazard
7 assessment report estimates the extent of flooding
8 that could occur at the DGR project site as input
9 to design and safety assessment. The report
10 considers site flooding that could occur from
11 extreme water levels in Lake Huron and from storm
12 surge and cess and wind waves. It assesses the
13 potential for tsunamis in Lake Huron.

14 It also considers flooding that
15 could occur from local streams and from the maximum
16 probable precipitation event at the site.

17 The preliminary decommissioning
18 plan describes the plan for the decommissioning of
19 the DGR facility at the end of its life. It
20 describes how the underground will be prepared
21 prior to sealing the two shafts and the details of
22 how the shafts will be sealed.

23 It also describes how the
24 surface facilities will be removed, and the final
25 end state of the site.

1 The report also describes how
2 the site would be decommissioned under the scenario
3 that the facility is built, but not operated.

4 The post-closure safety
5 assessment report evaluates the long-term safety of
6 the DGR. It analyzes the period starting from the
7 completion of decommissioning of the DGR following
8 its operational life.

9 It analyzes how the repository
10 is expected to evolve over many thousands of years
11 and what radiological and non-radiological hazards
12 might be presented to humans and the environment.
13 Normal evolution scenarios consider the impacts of
14 earthquakes and the onset of future glaciations in
15 the long-term.

16 The report also analyzes the
17 hazards associated with a number of hypothetical
18 disruptive or "what if" scenarios in order to test
19 the robustness of the DGR design.

20 In summary, I would like to say
21 a few words on the availability of the submission
22 documents.

23 While the submission documents
24 have been posted by the Canadian Environmental
25 Assessment Agency on their registry website, they

1 are also accessible from OPG's project website.

2 In addition to the submission
3 documents, there are a number of other project-
4 specific technical reports which are referenced in
5 the descriptive geosphere site model report, the
6 geosynthesis report and the post-closure safety
7 assessment report. These more detailed reports are
8 available on the NWMO's DGR project website.

9 Hard copies of submission
10 documents have also been provided to various
11 municipal offices and libraries in Bruce County to
12 facilitate public review for those without web
13 access.

14 This completes my part of the
15 presentation, and I would like to turn back the
16 floor to Mr. Sullivan.

17 **THE CHAIRPERSON:** Thank you
18 very much.

19 I will now open the floor for
20 questions from the Panel Members, starting with Dr.
21 Muecke, please.

22 **MEMBER MUECKE:** In the
23 guidelines for the EIS, it is specified that
24 alternative means for the project should be
25 discussed and explored.

1 In the EIS itself, these
2 alternatives are only briefly covered, so my
3 question is, which supporting documents discuss
4 alternative means more fully?

5 **MR. KING:** Frank King, for the
6 record.

7 The discussion of the
8 alternative means, I think, are as in the -- as you
9 found in the EIS. That is the most detailed
10 description of those studies of the alternatives.

11 I'll just confirm with my
12 colleague for the moment, Diane Barker, but I
13 believe I'm correct on that.

14 Yes.

15 **MEMBER MUECKE:** So there is no
16 additional material that would be available to us
17 see how you reached the conclusions, I believe, in
18 the guidelines, it -- if you read the guidelines,
19 paragraph 7.2, it asks for -- that the Panel be
20 provided with the reasoning behind the choice of
21 alternatives.

22 **MR. KING:** Alternative means,
23 yeah.

24 **MEMBER MUECKE:** Alternative
25 means, yeah.

1 **MR. KING:** I believe the --
2 what you've -- as I've said, what's in the EIS is
3 the extent of the analysis that was performed, and
4 I think we -- we believe it to be sufficient to
5 meet the intent of the guidelines. That was our
6 belief.

7 **MEMBER MUECKE:** Since the
8 intermediate level waste contains long-lived
9 isotopes, natural analogues can provide valuable
10 guidance as to behaviour in the geosphere.

11 Where in the documentation that
12 you have provided have natural analogues been
13 discussed or considered?

14 **MR. KING:** Frank King, for the
15 record.

16 I'll ask my colleagues, Mark
17 Jensen, from a geoscience point of view, and Paul
18 Gierszweski, from a safety assessment point of
19 view, to provide comment on that.

20 **MR. JENSEN:** Mark Jensen, for
21 the record.

22 In terms of natural analogues,
23 site-specific natural analogues from the site-
24 specific work, the geotechnical investigations at
25 the site are presented in the -- the geosynthesis;

1 in particular, Chapters 4 and 5 where we look at
2 the results of environmental tracers and how they
3 are vertically distributed within the sedimentary
4 sequence at the site that's 840 metres thick and
5 also on the evolution of extremely deep pressurizer
6 anomalous head conditions that we've encountered at
7 the Bruce site within the ortho-vicious(ph)
8 sediments proposed to host the repository.

9 **MEMBER MUECKE:** Thank you.

10 **DR. GIERSZEWSKI:** Paul
11 Gierszewski, for the record.

12 So the primary natural
13 analogues were as described by Mark Jensen. In
14 addition, in the gas generation model there was a
15 comparison against some field experiments, and
16 they're described in one of the detailed supporting
17 documents on the -- on the T2-GGm software model.

18 **MEMBER MUECKE:** Thank you.

19 In slide 4, you showed us
20 definitions of low level versus intermediate level
21 waste and in terms of dose rates -- by the way,
22 this information is rather difficult to find in the
23 EIS.

24 Where can we find more specific
25 descriptions of what -- and I mean by that in terms

1 of dose rates and other parameters that define low
2 level versus intermediate level waste? For
3 instance, what are the upper dosage rates for
4 intermediate level waste? At what point do you go
5 to high level waste?

6 On the same theme, where can we
7 find information in the documents on the sources of
8 the parameters that you use to define these --
9 these levels? On a national and international
10 scale, are these agreed upon? Who has defined them
11 and which -- which of these have you adopted?
12 Where do you find this information?

13 **MR. KING:** Frank King, for the
14 record.

15 I think there was a few
16 questions in there. I'll try to go through them
17 one by one.

18 The -- there is no kind of dose
19 boundary between intermediate and high. High level
20 waste deals with fuel, and so that's just a
21 different category completely. With -- the
22 boundary between low level and intermediate level
23 waste is provided in -- in this slide 4, as you --
24 it's on the slide, and the difference is primarily
25 associated with the ability to -- it's handleable.

1 A low level waste, somebody can
2 basically handle it more easily and it can be
3 stored in a low level storage building at the
4 Western Waste Management Facility. Typically, the
5 ILWAs have a higher dose rate, which prevents more
6 of a occupational radiation hazard and has to be
7 provided with additional amount of shielding either
8 in in-ground containers or in more dense, metal
9 containers which can be stored above ground, but
10 it's a -- it's associated with the occupational
11 dose rate.

12 Now, these dose rates that OPG
13 would use would come from the ICRP, International
14 Commission of Radiation Protection, recommendations
15 and which have been converted into radiation
16 protections that will be -- regulations which OPG
17 has in order to provide limits for these type of
18 wastes.

19 So there is a consistency
20 between OPG practice and international practice,
21 but you may not find 100 percent because it's --
22 there's some interpretation in different companies
23 around the world.

24 I think that was one or two of
25 your questions ---

1 **THE CHAIRPERSON:** Mr. King,
2 sorry to interrupt. Thank you for that
3 explanation, but really this session is just for
4 you to tell us where to find what you just said ---

5 **MR. KING:** Okay.

6 **THE CHAIRPERSON:** --- in the
7 documents.

8 So if you could help us
9 understand where the explanations for the criteria
10 that you use to separate low and intermediate level
11 are located, that would be great.

12 **MR. KING:** Okay. Just perhaps
13 I could consult with my colleagues here for a
14 moment.

15 Okay, I'll just -- Frank King,
16 for the record.

17 We're -- to identify the
18 specific document in the submission package we're
19 having a little bit of difficulty with. Perhaps
20 we'll have somebody have a look and maybe later on
21 in our session this morning we will provide that
22 with you.

23 We know it's available in OPG
24 documents, but where exactly in the submission
25 package; we'll just have to do a check.

1 **THE CHAIRPERSON:** That would be
2 fine.

3 Dr. Archibald.

4 **MEMBER ARCHIBALD:** Thank you.

5 Mr. King, you submitted
6 supporting documentation on 10 different
7 environmental assessment areas with only one
8 relating specifically to the geology TSD and three
9 submitting reports on -- supporting reports on
10 geosphere site models, geosynthesis and
11 geoscientific verification plans.

12 Where in your documentation is
13 any information given that reports upon the
14 geomechanical or geostructural impacts of the
15 actual repository itself?

16 **MR. KING:** Frank King, for the
17 record.

18 I think I'll ask Mike -- Mark
19 Jensen to respond to that, please.

20 **MR. JENSEN:** Mark Jensen, for
21 the record.

22 Information on geomechanical
23 components of this study are found in the
24 geosynthesis, Chapters 3, and long-term analysis in
25 Chapter 6.

1 **MEMBER ARCHIBALD:** And at this
2 point in time, most of that -- of the design
3 consideration is based upon your preliminary drill
4 hole analyses and your -- your geostructural
5 analyses?

6 **MR. JENSEN:** That is correct.

7 **MEMBER ARCHIBALD:** An
8 additional question, and I believe this is answered
9 on your slide 37, where are any factors or issues
10 dealing with occupational health and safety impacts
11 such as conventional operational accident scenarios
12 and risk factors presented?

13 **MR. KING:** Frank King, for the
14 record.

15 Yes, that is in conventional --
16 preliminary conventional safety report that I spoke
17 to earlier.

18 **MEMBER ARCHIBALD:** Is there
19 anywhere in your documentation where the use of
20 sealing materials other than concrete shaft seals -
21 - and by this I specifically mean sealing materials
22 for the repository rooms themselves -- considered?

23 **MR. KING:** Frank King, for the
24 record.

25 Just for clarification, the --

1 the Shotcrete on the room walls, is that what
2 you're looking for?

3 **MEMBER ARCHIBALD:** No, I -- by
4 that I mean other barrier agent materials within
5 the rooms other than the containment vessels
6 themselves for the low and intermediate level
7 wastes. That would be, for example, backfill or
8 possibly bentonite materials.

9 **MR. KING:** Frank King, for the
10 record.

11 There -- we are not proposing
12 to use any materials to what I think you're
13 referring in the rooms themselves. In the sealing
14 of the shafts, there are -- we are, so I don't --
15 there is no location in the documentation package
16 where we have proposed that.

17 **MEMBER ARCHIBALD:** Were any
18 considerations ever given to multiple barrier
19 effects, then, for -- multiple, localized barriers
20 because you had mentioned also that depending upon
21 the -- the localized *in situ* stress, you may have a
22 fracture zone around each of the placement rooms or
23 the shaft that would act as transport channels to
24 surface?

25 If you don't have the sealant

1 in depth, I suppose, you could circumvent those
2 seals.

3 **MR. KING:** Frank King, for the
4 record.

5 I'll answer it to some degree
6 and I'll ask Mark Jensen to comment as well.

7 The whole proposal -- I'm
8 having difficulty answering the question and
9 telling you where to find things; stop me if I'm
10 going too far on one direction. But throughout the
11 submission package, the importance of the geosphere
12 is described and the shale -- 200 metres of shale
13 cap rock and the low permeability is found
14 throughout the submission package in many places
15 and that is where you will find the primary
16 description of the barriers; in fact, multiple
17 barriers preventing migration of radionuclides
18 upwards.

19 Perhaps, Mark, do you have any
20 further comments you'd like to make?

21 **MR. JENSEN:** Mark Jensen, for
22 the record.

23 An assessment certainly of the
24 barriers or the shaft seals, you will find in
25 Chapter 6 of the geosynthesis. And in terms of the

1 far field that surrounds the repository --
2 surrounds an enclosed repository -- analyses
3 looking at long-term effects, both natural and
4 repository-induced, indicate that the far field or
5 the sedimentary rock that encloses the repository,
6 should remain an integral barrier. That's also in
7 chapter 6 of the geosynthesis.

8 **MEMBER ARCHIBALD:** Could I just
9 ask for one additional comment?

10 In terms of radon emanation,
11 you have supporting documentation of that, what
12 sources of radon would you find in a sedimentary
13 deposit such as the limestone and shale materials
14 that you have present?

15 **THE CHAIRPERSON:** Dr.
16 Archibald, if you could rephrase that question,
17 please?

18 **MEMBER ARCHIBALD:** I'm sorry.
19 Where in your documentation could I find additional
20 information about sourcing the radon materials?

21 **MR. KING:** Frank King, for the
22 record.

23 The -- I think it'll -- it's
24 just in the Radon Assessment Report but I'll ask
25 Paul Gierszewski to add anything if he wishes to.

1 **DR. GIERSZEWSKI:** For the
2 record, Paul Gierszewski.

3 So in answer to the immediate
4 question, yes, in the Radon Assessment Report
5 there's a description on the basis of the radon
6 sources; it's uranium and the information
7 references are given in -- for what the uranium
8 levels -- where they were from. So that's -- it's
9 early in that Radon Assessment Report.

10 I wonder -- while I have the
11 floor here, in answer to the previous question,
12 there was a comment about whether any assessment
13 had been done of backfilling of the rooms and there
14 are actually, just for clarity, that had been
15 assessed. It is described in the more detailed
16 post-closure safety assessment documents; in
17 particular, if you look at the Post-Closure Safety
18 Assessment Report in section 735, there's some
19 assessment of some alternative to the design, one
20 of which was to backfill the repository, in that
21 case, with a gravel-type of fill.

22 So section 735 of the Post-
23 Closure Safety Assessment Report. And there is
24 more detail in the more detailed lower tier reports
25 analysis to support that, but that's -- you'll find

1 the description there.

2 **MEMBER ARCHIBALD:** Thank you
3 very much.

4 **THE CHAIRPERSON:** Thank you,
5 Dr. Archibald.

6 I have a few questions as well.
7 If we could turn to slide number 5, please?

8 My first question is just to
9 confirm my own understanding of your road map.

10 In your first bullet, you
11 mention the packaged waste and I'd like to confirm
12 that the explanation of those packages -- the
13 description of the various types of packaged
14 materials would then be found in one of your
15 supporting documents; the inventory report; is that
16 correct?

17 **MR. KING:** Frank King, for the
18 record.

19 That is correct.

20 **THE CHAIRPERSON:** Thank you
21 very much.

22 On that same slide, the bottom
23 bullet references the existing waste management
24 facility; where in the documentation can we find
25 information on the operation and performance,

1 including monitoring data, from that facility?

2 **MR. KING:** Frank King, for the
3 record.

4 As you well know, this is a
5 separate facility with its own license so any
6 detailed reporting of the performance of that
7 facility will be in documents submitted in
8 accordance with the licence of that facility, not
9 so much this proposal.

10 **THE CHAIRPERSON:** Thank you
11 very much.

12 My next question pertains to
13 slide 14 and this is where we were going through
14 the list of the different main sections of the EIS
15 and it triggered a question in my mind with respect
16 to chapter 7, where we get into the actual effects
17 prediction and you made reference that the context
18 chapter, chapter 1, provided an explanation of how
19 OPG considered traditional knowledge sustainable
20 development and the precautionary principle, as
21 required in the guidelines. I am wondering if you
22 could confirm whether chapter 7 expands upon that
23 and gives -- provides a detailed explanation of how
24 you used sustainable development, traditional
25 knowledge, and the precautionary principle in your

1 classification of effects.

2 **MR. KING:** Frank King, for the
3 record.

4 I'd like to ask Diane Barker to
5 respond to that.

6 **MS. BARKER:** Diane Barker, for
7 the record.

8 The treatment of Aboriginal
9 traditional knowledge is provided in more detail in
10 the relevant technical support documents; for
11 example, the aquatic terrestrial documents. There
12 is also a separate technical support document on
13 Aboriginal interests. I believe you will find that
14 the information on how traditional knowledge and
15 what traditional knowledge was incorporated is
16 provided in more detail there and is summarized in
17 the environment impact statement in section 7.

18 **THE CHAIRPERSON:** Thank you.

19 In chapter 12, can you just
20 confirm for me that this chapter does indeed
21 include the plans for consultation with Aboriginal
22 groups?

23 **MR. KING:** Frank King, for the
24 record.

25 This -- you're on slide 14?

1 **THE CHAIRPERSON:** Yes, chapter
2 12 follow-up program.

3 **MR. KING:** It will be chapter
4 12, actually, of the Preliminary Safety Report on
5 the public engagement, which describes the plans
6 for future communications with all aspects of the
7 public.

8 **THE CHAIRPERSON:** Okay, thank
9 you for that clarification.

10 Sorry, skipping ahead to slide
11 35, the last bullet on that slide refers to the use
12 of multiple lines of evidence to evaluate the seven
13 key hypotheses; can you please confirm that that
14 section does, indeed, include a description of the
15 method you used for assembling all of the multiple
16 lines of evidence into an overall assessment of
17 each of the seven key hypotheses?

18 **MR. KING:** Frank King, for the
19 record.

20 I'd like to ask Mark Jensen to
21 respond to that.

22 **MR. JENSEN:** Mark Jensen, for
23 the record.

24 Yes, the geosynthesis provides
25 an explanation of the collection of the various

1 data from geologic, hydrogeologic,
2 hydrogeochemistry and geomechanical analyses that
3 have contributed to the understanding and testing
4 of the hypotheses. It's described in the summary
5 section of the geosynthesis and in the individual
6 chapters of the geosynthesis, more detail.

7 **THE CHAIRPERSON:** Thank you,
8 Mr. Jensen.

9 If I could ask a follow up
10 question? I think what I was getting at was; does
11 this chapter then take each of your explanations of
12 the individual lines of evidence and create an
13 overall explanation of how you added all of those
14 multiple lines up to come to a specific conclusion?

15 **MR. JENSEN:** I believe a brief
16 summary of that is provided in the summary of the
17 geosynthesis, where each of the lines of evidence
18 contributing to the testing of the hypotheses is
19 provided.

20 **THE CHAIRPERSON:** Thank you
21 very much.

22 **MR. KING:** Dr. Swanson, I'm
23 Frank King, again.

24 Just further to that, chapter
25 14, the conclusions chapter of the Safety Report;

1 if you look at that, there is a table in there
2 which shows, in a -- we hope an easy to understand
3 manner, how all the safety criteria supporting --
4 that are required in the safety objectives are met.
5 So it's this table in there which is essentially
6 all the seven hypotheses and other safety
7 objectives and showing in detail where you can
8 find, in the submission package, evidence that
9 supports the individual components of the safety
10 (inaudible).

11 **THE CHAIRPERSON:** Thank you.

12 I have one final question; this
13 is with respect to Slide 42. Mr. King, during your
14 explanation of this particular document you
15 referred to scenarios that were selected for
16 analysis.

17 Does this particular document,
18 the post-closure safety assessment report, include
19 a description of the method you used to select the
20 scenarios that were short-listed for subsequent,
21 more detailed analysis?

22 **MR. KING:** Frank King, for the
23 record.

24 I'll provide some information
25 and then ask Paul Gierszewski to add anything that

1 he wishes.

2 The -- prior to actually
3 preparing the environmental impact statement, there
4 was a requirement in -- for us to go to the CNSC in
5 the absence of the Panel to establish safety
6 criteria applicable to the project. And in that
7 submission, we also identified what disruptive
8 scenarios that -- or in other submissions we made
9 earlier before the Panel was appointed and we've
10 justified which disruptive scenarios would be
11 appropriate for this overall assessment.

12 Perhaps Paul Gierszewski might
13 want to add something there.

14 **MR. GIERSZEWSKI:** In terms of
15 the methodology and the description of the basis by
16 which the scenarios were selected, they are
17 described in -- a good description in the post-
18 closure safety assessment report, and that would be
19 in Section 5.

20 And then more details of some
21 of the supporting reports, but that's a good
22 summary in that chapter.

23 **THE CHAIRPERSON:** Thank you.

24 **MR. GIERSZEWSKI:** The method
25 and the conclusions.

1 **THE CHAIRPERSON:** Thank you.

2 Thank you very much.

3 That concludes all the
4 questions, I believe, from the Panel. Dr. Muecke,
5 Dr. Archibald, any follow-ups?

6 Okay, thank you very much to
7 the OPG representatives and the NWMO
8 representatives. Thank you very much.

9 We will now continue with the
10 presentation by staff from the Canadian Nuclear
11 Safety Commission.

12 So do we need to allow some
13 time for shuffling of chairs?

14 While we're getting set up for
15 the Canadian Nuclear Safety Commission, I suggest
16 we take the break now; it's a natural break. So if
17 we could reconvene in 15 minutes, which will take
18 us to 10:30.

19 Thank you very much.

20

21 --- Upon recessing at 10:18 a.m. /L'audience est
22 suspendue à 10h18

23 --- Upon resuming at 10:36 a.m./L'audience est
24 reprise à 10h36

25

1 **MS. MCGEE:** Thank you.

2 Before the presentation by CNSC
3 begins, the Panel would like to ask NWMO or OPG to
4 clarify what additional documents are available on
5 the NWMO website that were referred to this morning
6 as reference documents.

7 **MR. KING:** Frank King, for the
8 record.

9 Before I do that, I took an
10 undertaking to provide some -- answer another
11 question once we had a chance to look, and if I
12 could do that right now.

13 So we were asked where in the
14 submission package there was the definition of the
15 distinction of the dose rates between ILW and low-
16 level waste. We've checked, and we cannot find
17 that.

18 That definition -- what we use
19 in the DGR project is the same definition that OPG
20 uses as defined in -- for the Western Waste
21 Management Facility, and that's defined in the OPG
22 Western Waste Management Facility Safety Report,
23 which is not a submission document.

24 With respect to this project,
25 that definition is not important in that the

1 inventory report that we have submitted defines
2 exactly what the composition of the waste is and
3 from an analysis point of view, we really don't
4 need to know whether it's ILW or low-level waste.
5 So that's why it's not defined in our submission
6 package. That was one undertaking I took.

7 I would also -- if I could
8 clarify, there was a question from Dr. Muecke about
9 alternatives. I answered the question believing he
10 was looking for alternative means, but I think
11 there was some reference to Section 7.2, not only
12 7.3 -- 7.2 is alternatives to. And in the
13 environmental -- the EIS we refer to a document
14 called The Independent Assessment Study.

15 The Municipality of Kincardine
16 and OPG -- and this is the 2003 timeframe --
17 commissioned a consultant to do a study of
18 alternatives to and while that document, the
19 independent assessment study, is not part of the
20 submission package, it is referred to in the EIS
21 and that document is on the NWMO's project website
22 as the full document.

23 So that provides a more
24 detailed explanation of the alternatives to status
25 quo shallow facilities versus deep facilities is

1 where you would find that.

2 Now, you asked me to clarify
3 what these other documents are. And in my
4 presentation, I referred to supporting documents to
5 three other documents, the geo-sphere site model
6 report.

7 On the NWMO website there is 69
8 more detailed reports. These are the -- ranging
9 from the photographs of the core as the core was
10 moved from the boreholes, the lab results from
11 various tests on the core. There's -- this is a
12 large amount of additional information, but there's
13 69 reports supporting the descriptive site model.

14 There are 14 reports supporting
15 the geo-synthesis report and those are, again, more
16 detailed technical reports and various aspects of
17 the geo-scientific investigations.

18 All of these reports are
19 summarized themselves in the geo-synthesis report,
20 so this is why that was not submitted because we
21 felt that they were adequately covered there. But
22 they are available and they've been available from
23 the time of the submission on the NWMO project
24 website.

25 The third set of reports are

1 the ones submitting the -- supporting the post-
2 closure safety assessment. There are eight
3 additional, again, more detailed reports which are
4 summarized in the post-closure safety assessment,
5 but for anybody who wants to go that further level
6 of detail, they are available on the NWMO website.

7 **THE CHAIRPERSON:** Thank you
8 very much.

9 **MS. MCGEE:** The Panel wishes to
10 put on the record for clarification that these
11 tertiary documents, the 91 reports just referred
12 to, are not currently part of the project registry
13 public record; however, as needed or required by
14 the Panel to fulfill requirements for additional
15 information, these records will form part of the
16 public record.

17 Thank you.

18 **THE CHAIRPERSON:** Thank you
19 very much.

20 We'll now continue with the
21 presentation by staff from the Canadian Nuclear
22 Safety Commission.

23 Mr. Elder, the floor is yours.

24

25 **Presentation from**

1 **The Canadian Nuclear**

2 **Safety Commission**

3

4 **MR. ELDER:** Thank you and good
5 morning.

6 My name is Peter Elder; I'm the
7 Director General, Directorate of Nuclear Cycle and
8 Facilities Regulation.

9 Beside me is Dr. Patsy Thompson, the
10 Director General, Directorate of Environmental and
11 Radiation Protection and Assessment; and further
12 left is Kay Klassen, who is our Senior Project
13 Officer for -- in our licensing group.

14 Behind us we have a number of our
15 licensing and environmental assessment specialists,
16 Don Howard, Director of our Wastes and
17 Decommissioning Division; Brian Torrie, our
18 Director of Environmental Assessment Division; Ms.
19 Kiza Francis, who's our Environmental Assessment
20 Specialist, and we also have a with us our
21 Aboriginal Affairs people, Clare Cattrysse, our
22 Director of our Policy Aboriginal and International
23 Relations Division, and Ms. Kim Mann, Senior
24 Advisor, Aboriginal Policy and International
25 Relations.

1 The objective of this
2 presentation is to provide the Panel on information
3 on the roles and responsibilities of the CNSC and
4 then relate it to CNSC staff in the licensing
5 conducted by -- under the Canadian Nuclear Safety
6 Commission and how -- the role CNSC staff plays in
7 assisting the Joint Review Panel during the process
8 for review of the Ontario Power Generation's Deep
9 Geological Repository.

10 So to this end, Dr. Thompson
11 and I will provide an overview of the mandate of
12 the CNSC and the role of CNSC staff, information on
13 how staff support the Joint Review Panel and the
14 work that has been done to date in this regard and
15 also discussing the role that staff could play
16 after the public review period and the role of
17 future licensing.

18 Just to start with, a brief
19 overview of the Canadian Nuclear Safety Commission.

20 This is Canada's nuclear
21 regulator. It was established over 65 years ago as
22 the Atomic Energy Control Board. With the coming
23 into force of the *Nuclear Safety and Control Act* in
24 2000, we became the Canadian Nuclear Safety
25 Commission.

1 It is this Act that provides
2 the CNSC with authority to regulate the nuclear
3 industry in Canada.

4 While the general control is
5 provided at -- through the Act, underneath there
6 are Regulations, licences and orders. But in terms
7 of the day-to-day control, it is largely through
8 Regulations and licences issued by the Commission.

9 The mandate and mission of the
10 Commission is clear; this is to protect the health,
11 safety and security of persons and the environment
12 and to implement Canada's international commitments
13 on the peaceful uses of nuclear energy. The latter
14 is actually mainly related to obligations under
15 nuclear weapon non-proliferation treaties.

16 We work from a range of
17 facilities that cover anything from uranium mines
18 and mills through nuclear power plants, waste
19 management facilities, nuclear substances, nuclear
20 research and there's also import and export control
21 of nuclear materials and associated technology.

22 We take a life cycle approach,
23 so we start from initial site preparation through
24 construction, operation, normally then to
25 decommissioning and finally a release from

1 licensing or abandonment, so there's a cradle to
2 grave approach. And this is reflected in the
3 regulations that take a phased approach to
4 licensing.

5 Normally there are different
6 licences issued for each part of the life cycle,
7 and they have separate requirements in the
8 regulations.

9 Regulations cover broad
10 categories of facilities. The major nuclear
11 facilities are covered by the -- what's called the
12 Class I Regulations. These cover nuclear reactors,
13 waste management -- large waste management
14 facilities such as the DGR, so they're very broad
15 regulations, that one.

16 There are other regulations for
17 other types of facilities; for example, uranium
18 mines and mills and nuclear substances.

19 So the CNSC staff is
20 headquartered in this building in Ottawa. We also
21 have five regional offices and six locations where
22 site -- where we have site offices. And we do
23 licensing largely in Ottawa, but also in our office
24 in Saskatoon, and then we do mainly -- focus on
25 compliance activities in the other offices.

1 We have a total of about 850
2 staff, including internal technical expertise in
3 areas such as waste management, the safety cases,
4 our safety approaches to repositories, mine
5 engineering, environmental risk assessment and
6 management and quality assurance systems.

7 We also have a number of full-
8 time inspectors based at each of the major sites.
9 We also have a large number of inspectors that are
10 based in our regional offices and in Ottawa.

11 So before going into -- we'll
12 cover each of these parts in detail, but I think
13 it's important that we understand the CNSC's
14 responsibilities around licensing and then there
15 are some associated responsibilities that come from
16 other federal pieces of legislation.

17 So under the *Nuclear Safety and*
18 *Control Act* the licence is a key control mechanism.
19 Basically, it is illegal to possess a nuclear
20 substance or construct or operate a nuclear
21 facility, except in accordance with a licence from
22 the CNSC.

23 So these then trigger -- if we
24 -- there's application for a licence. This can
25 trigger additional responsibilities under Nuclear

1 decommissioning.

2 Sometimes this can also mean a
3 separate licence to prepare the site. Where there
4 is little site preparation that is not associated
5 with the construction, like uranium mines or a DGR,
6 the CNSC has always used a combined site
7 preparation and construction approach, so there's a
8 single licence.

9 Licences contain terms and
10 conditions that are necessary to ensure protection
11 of safety -- the health and safety, security and
12 confirmation with international obligations. They
13 can also include any additional requirement for
14 reporting or things like follow-up programs for
15 environmental assessments are usually considered,
16 are included as a licence condition.

17 Associated with the licence,
18 CNSC staff produce a supporting document which is
19 called a Licence Condition Handbook. This is
20 really a guidance to staff and the Proponent on how
21 compliance with the licence will be verified and it
22 will provide also guidance on intent of licence
23 conditions.

24 So when we -- you get -- you'll
25 see later when we talk about a proposed licence,

1 there would also be an associated Licence Condition
2 Handbook.

3 As I mentioned before, licences
4 can be issued. No activity is allowed without a
5 licence. In the Act, in the *Nuclear Safety and*
6 *Control Act*, there are two key tests that the
7 Commission must be satisfied before issuing a
8 licence, so this is not staff, this is actually the
9 Commission.

10 First is that the Applicant is
11 qualified to carry out that activity the licence
12 will authorize.

13 Second, that in carrying out
14 that activity the Applicant will make adequate
15 provision for protection of the environment, the
16 health and safety of persons and maintenance of
17 national security and international obligations.

18 So I'd like to discuss a bit
19 more detail later on about how we assess those two
20 categories and make your recommendations around
21 them.

22 So we've noted before, there
23 are additional responsibilities under the -- on the
24 CNSC beyond the *Nuclear Safety and Control Act*.
25 First is we must ensure compliance with *Canadian*

1 *Environmental Assessment Act*, so this is ensuring
2 that environmental assessment is completed when
3 required and that we take the necessary courses of
4 actions around the *Canadian Environmental*
5 *Assessment Act*.

6 The -- a couple of things I'd
7 like to point out in this regard is one is there's
8 a precedence here.

9 Under the *Canadian*
10 *Environmental Assessment Act*, you must make a --
11 there must be a decision under the *Canadian*
12 *Environmental Assessment Act* before a decision can
13 be made under the *Nuclear Safety and Control Act*.

14 The other important thing in
15 terms of environmental assessment, unlike the
16 licensing that uses a phased approach, the results
17 of environmental assessment look to identify any
18 significant potential impacts of a project over the
19 whole project life cycle, so it looks as much as
20 possible at the whole life cycle of the project.

21 So another thing that would be
22 noted is, depending on the type of process, there
23 are different levels of approval as a Panel under
24 the *Canadian Environmental Assessment*. The Panel
25 makes a recommendation to the federal government,

1 that then makes a decision on the environmental
2 assessment report. This has to be done before
3 there can be any licensing decision.

4 Turning to Crown consultation,
5 again, let's talk a bit now about what -- where
6 this stems from and then we'll talk later on what
7 has been done to date.

8 So licensing also triggers the
9 CNSC responsibilities as an agent of the Crown, and
10 this requires consideration to be given to any
11 potential environment -- any potential adverse
12 effects to Aboriginal or treaty rights. This means
13 that consultation with potentially impacted
14 Aboriginal groups must be completed prior to a
15 decision on licensing.

16 In this regard, for this
17 project, the CNSC act as a Crown consultation
18 coordinator. We are the -- CNSC acts as a single
19 point of contact between Aboriginal groups and the
20 federal government.

21 And these roles are to identify
22 Aboriginal groups that may have an interest in the
23 project and encourage participation, ensuring the
24 project information is shared with such groups, and
25 we also have a role in leading and coordinating

1 activities between the various government
2 departments.

3 So when we're fulfilling these
4 duties, the CNSC follows normal government policy
5 which is called "the whole of government approach",
6 and Aboriginal consultation has been integrated
7 into the licensing and environmental assessment
8 process to ensure that a coordinated, transparent,
9 effective and efficient process occurs. The Crown
10 -- and the intent is that the Crown, the federal
11 government as a whole, can rely on this process to
12 fill any duty to consult obligations to the extent
13 possible; so you do it once, you do it broadly.

14 So turning as to the role of
15 CNSC staff as opposed to the CNSC, we usually have
16 a -- we make -- on licensing, we make
17 recommendations to the Commission or the Panel on
18 the possible issuance of a licence and we also are
19 heavily involved in the technical reviews of --
20 around the safety case and other supporting
21 documents around the EA, and making sure we also do
22 a lot of the implementation of the Crown
23 cooperation process.

24 We also then -- there is a role
25 afterwards that some of it can be going on during

1 the licence, but certainly CNSC staff have a major
2 role after a licence is issued in measuring
3 compliance with that licence. And we have a number
4 of compliance activities we would plan and
5 undertake, and we also have a full range of
6 enforcement tools that we can use to make sure that
7 the licensee remains in compliance with the
8 licence.

9 I'm going to focus a bit and a
10 bit more on what has been done to date in each of
11 these three areas. I will cover the licensing and
12 then I will turn over to Dr. Thompson to cover the
13 EA process and the consultation coordination.

14 Turning to the -- where we
15 became first officially involved in this project.
16 Ontario Power Generation sent a letter to the CNSC
17 in November of 2005 requesting a licence to prepare
18 site and construct a repository for their low and
19 intermediate level radioactive waste. Although
20 this did not contain a complete application, it did
21 provide sufficient information to initiate the
22 licensing process and, consequentially, the EA
23 process and the Crown consultation processes.

24 Going to what has been done on
25 their licensing since 2005, we have provided

1 guidance to OPG on the application of the *Nuclear*
2 *Safety and Control Act* and the Class I Regulations
3 in regard to this project.

4 A lot of this is focusing on
5 the importance of the regulatory documents that was
6 issued in 2006 that is entitled G320, which is
7 "Assessing the Long-Term Safety of Radioactive
8 Waste Management", that provides the key
9 requirements or expectations in terms of a safety
10 case for such a facility.

11 And in terms of -- we've also
12 reviewed a number of draft documents submitted by
13 OPG. The review of draft plans and documents
14 enable CNSC staff to indicate to that where
15 preliminary materials do not adequately demonstrate
16 compliance with applicable Regulations. So this is
17 a normal practice and any comments, obviously, were
18 -- are included on the public registry.

19 This led to OPG submitting what
20 they view as a complete application, including
21 supporting documents for the licence to prepare
22 site and construct and the Environmental Impact
23 Statement in April of 2011.

24 To date, CNSC have completed
25 their initial technical reviews and also a

1 conformity check to make sure the documents contain
2 all the required information. You have already
3 noted that we have noted some areas where we need
4 additional information and have proposed
5 information requests be made.

6 In terms of how we've
7 approached the application -- and this is focusing
8 on the licence application to prepare site and
9 construct as opposed to the Environmental Impact
10 Statement.

11 We've provided -- what we're
12 looking for is, obviously, evidence that the
13 licence application includes all the material
14 required for a Class I facility under Regulations,
15 so this would normally include site evaluation, the
16 management structure for the project, including the
17 quality assurance, the description of the facility
18 and the general design of the facility, of the
19 preliminary safety analysis reporting, noting that
20 before operation there is a requirement to finalize
21 that safety analysis, and also determination of
22 effects on the environment in terms of -- through
23 the life cycle but also in this type of case and
24 for the long term. And we are -- also some idea of
25 the construction activities that were required and

1 the -- a preliminary schedule for that.

2 In terms of when we look at
3 this one, again, there are two key aspects that we
4 are looking for, is overall is assess OPG's ability
5 to meet the regulatory requirements for a licence
6 to prepare site and construct. But we also look at
7 specifically whether OPG has sufficiently
8 demonstrated that they are qualified to conduct the
9 activities and will make adequate provisions as
10 required by the Act.

11 I want to explain a bit more on
12 how we look at these two aspects, and I think the
13 easiest way is to look at, one, is the
14 qualification is -- of the company, OPG, as opposed
15 to -- the adequate provisions also look very
16 heavily at the design of the facility.

17 And in that case, when you're
18 looking at adequate provisions, you are looking at
19 beyond construction, which is what they've asked
20 for, but in -- can you actually -- will it operate
21 safely as well.

22 So in terms of reviewing the
23 design of the DGR facility, there are a number of
24 key aspects that we looked at in reviewing this
25 preliminary safety report.

1 First of all is that can the
2 facility be constructed and can it be constructed
3 safely. In this regard, we note that the DGR is
4 much like a normal -- a mine in this, but these
5 would look at very closely at occupational health
6 and safety considerations as well as any
7 environmental impacts associated with construction.

8 Then we also look at, from the
9 safety case, can it be operated safely and
10 maintained and, essentially, is it -- can it be
11 built and designed sufficient enough to do what
12 it's intended to do, which is, again, in this case,
13 isolate the wastes from the environment for the
14 very long term.

15 And we also want to make sure
16 that all operational controls have been identified
17 and are -- and so the ones important for
18 construction are being put in place.

19 We also look at that has
20 decommissioning or, in this case, it's really post-
21 closure operation, been appropriately considered,
22 again, a -- for a repository to keep part of the
23 safety cases that the Applicant must show that
24 there will be acceptable long-term, post-closure of
25 operation -- performance, sorry.

1 We also look at making sure
2 that due consideration has been given to
3 uncertainties in long-term performance and that the
4 design is acceptably conservative, i.e. that the
5 uncertainties are explicitly accounted for in the
6 design.

7 Now, this is recognizing that
8 this is a preliminary safety case that will be
9 refined into a final safety case before the
10 issuance of an operating licence.

11 Turning to assessing the
12 qualifications of OPG, this review is much more
13 focused on the activities that would be allowed
14 under a Licence to Prepare the Site and Construct.

15 So in this one, the key review
16 elements that we're looking at is how OPG will
17 undertake these activities, site prep and
18 construction for the surface facilities and the
19 underground development. Does OPG have the
20 appropriate quality assurance plan for the design
21 and construction, and the key one in this one is
22 appropriate oversight of contractors.

23 We also looked that OPG has
24 appropriate design and construction management
25 system. That is really to ensure that what gets

1 built is what they intended to get built and is it
2 -- all of the connections are made to make sure
3 that they know how it has to be operated as well.

4 We also look at decommissioning
5 in terms of -- for the particular licence and this
6 is related to is there a plan, appropriate
7 preliminary plan, for decommissioning if for any
8 reason the construction does not -- does not
9 proceed to operation, and do they have funds
10 available to put the site into a safe state if this
11 -- again, if it does not proceed to operation.
12 That's what we're looking for at this time.

13 There is another aspect of
14 decommissioning in the long-term that is a part of
15 the safety case.

16 These two previous points come
17 together in terms of making sure that these key
18 provisions are in place. These are usually --
19 become programs that the CNSC expects the licensee
20 to actually have in place and become licence
21 requirements.

22 So this is really looking at
23 making sure that we look at what does -- the design
24 and construction management system; is it properly
25 designed, will it have the proper controls, do they

1 have the appropriate environmental policies and
2 programs in place, do they have the appropriate
3 conventional health and safety program in place, is
4 there appropriate monitoring program -- again, for
5 both internally to look at the geoscience
6 monitoring but also look at environmental
7 monitoring.

8 Are there appropriate emergency
9 preparedness plans in place, and a key one on this
10 one, again, is that confirmation of the long-term
11 safety case, which is the -- referred to as a
12 geoscience verification plan.

13 We want these to be well enough
14 defined that CNSC staff are in a position to do
15 compliance verification activities to confirm the
16 licence is in compliance if a licence is issued.

17 So going forward, we -- in
18 terms of licensing, CNSC staff will support the
19 Panel by completing the technical reviews that are
20 currently underway. We did preliminary ones; we
21 are doing some more in-depth ones on the safety
22 case and related licensing documentation. The
23 question -- this is a key task but then there are a
24 number of ways that this work will be presented to
25 the Panel.

1 Firstly, obviously CNSC staff
2 are available to provide any technical briefings to
3 the Panel that the Panel may request.

4 Secondly, CNSC staff will
5 propose information requests to the Panel that --
6 where we believe that OPG must provide more
7 information and noting that we've already done this
8 in one case already.

9 Finally, when all the material
10 is available, CNSC staff will summarize the reviews
11 and make -- provide recommendations, including a
12 draft for proposed licence in what's called a
13 Commission Member Document, and this is essentially
14 a summary of all the areas that we looked at that
15 culminates in a proposed licence that we will make
16 to the Panel, and this is usually prepared prior to
17 the start of public hearings.

18 And then we obviously will
19 participate in the public hearings in support of
20 the Panel.

21 I'll now pass the presentation
22 over to Dr. Patsy Thompson.

23 **DR. THOMPSON:** Good morning,
24 Madam Chair and Members of the Panel.

25 My name is Patsy Thompson; I'm

1 the Director General of the Directorate of
2 Radiation and Environmental Protection and
3 Assessment.

4 I will be finishing the
5 presentation and discussing the roles and
6 responsibilities of CNSC staff with regards to the
7 review of the environmental impact assessments or
8 statement and also with respect to the Crown
9 consultation activities of the CNSC.

10 After the project description
11 was received in late 2005, CNSC staff initiated the
12 environmental assessment process and a notice of
13 commencement of environmental assessment was posted
14 in 2006 on the Canadian Environmental Assessment
15 Agency Registry for environmental assessments.

16 Following a public hearing of
17 the Commission in the fall of 2006 and June 2007,
18 at the request of the Commission the project was
19 referred to a review panel by the Minister of the
20 Environment.

21 During that period, CNSC staff
22 confirmed that no environmental assessment was
23 required under the Province of Ontario
24 Environmental Assessment legislation and also that
25 the CNSC was the only responsible authority for

1 this project under the Canadian Environmental
2 Assessment Agency.

3 After the referral to the
4 Panel, a draft Environmental Impact Statement
5 Guidelines and a draft Joint Review Panel Agreement
6 were prepared.

7 These documents went through a
8 public review and were finalized in late 2008 and
9 early 2009 by the Minister of the Environment.

10 The Joint Review Panel
11 Agreement was also finalized and signed and
12 approved -- endorsed by the Minister of the
13 Environment and by the President of the CNSC.

14 The Major Projects Management
15 Office then coordinated the review and approval of
16 the project agreement, which is an agreement
17 between federal departments involved in the review
18 for this project.

19 Between 2009 and 2011, CNSC
20 staff were engaged in preliminary reviews of
21 technical documents that were provided by the
22 Proponent. CNSC staff also engaged in independent
23 international research projects in the area of
24 geosciences in anticipation of the Environmental
25 Impact Statement submitted by the OPG.

1 When the Environmental Impact
2 Statement was submitted in April 2011, CNSC staff
3 began their review starting with a completeness
4 review and a technical scan which resulted in some
5 proposed information requests which were submitted
6 to the Panel when it was recently reviewed.

7 CNSC staff have now begun their
8 detailed technical review of the Environmental
9 Impact Statement as well as the supporting
10 documents.

11 Ontario Power Generation's
12 Environmental Impact Statement submission is
13 intended to address the effects of the project on
14 the environment, as well as the environment on the
15 project, both under normal operating situations as
16 well as in the case of accidents and malfunctions.

17 The Environmental Impact
18 Statement assesses potential environmental adverse
19 effects over the project lifecycle, covering
20 construction, operation, decommissioning or
21 closure, as well as the long-term safety
22 repository.

23 The Environmental Impact
24 Statement Guidelines indicate all of the
25 information that is required in the Environmental

1 Impact Statement.

2 CNSC staff have conducted a
3 completeness scan of the documents to ensure that
4 each section required in the Environmental Impact
5 Statement Guidelines have been included in the
6 documentation submitted by the OPG.

7 This completeness scan is not
8 intended to indicate whether or not the technical
9 information is adequate or sufficient as submitted
10 by OPG.

11 During the detailed technical
12 review of the Environmental Impact Statement and
13 supporting documents, CNSC staff review objectives
14 are to ensure the conformity with the EIS
15 guidelines, validity of the scientific and
16 technical basis for the assessment, appropriate
17 consideration of uncertainties. This work will
18 support staff's recommendations and conclusions to
19 the Joint Review Panel.

20 Some examples of aspects that
21 are reviewed include the baseline descriptions, the
22 mitigation measures, the models and calculations
23 used by the Proponent, the consequences and effects
24 as well as the significance of the effects that
25 have been identified.

1 An important aspect of this
2 project will be the consideration of a robust
3 follow-up program -- follow-up and monitoring
4 program given the requirement of assuring the long-
5 term safety of the repository hole's closure.

6 As identified in section 8.1 of
7 the Joint Review Panel Agreement, CNSC staff's role
8 is to provide the technical, scientific, and
9 regulatory support to the Panel. Also, as outlined
10 in the Major Projects Management Office Project
11 Agreement, CNSC staff will communicate and
12 collaborate with other federal departments to
13 ensure that the review is thorough and that efforts
14 are not duplicated. This is an important
15 coordination function provided by CNSC staff.

16 During the review, CNSC staff
17 will also propose information requests to the Panel
18 when deficiencies are noted in the documentation
19 provided by OPG. CNSC staff will provide
20 clarification to the proponent on any proposed
21 information requests if we are requested to do so
22 and, of course, CNSC staff will be completing a
23 full technical review and assessment of the
24 environmental impact statement.

25 At the end of the review

1 period, CNSC staff will submit what's called a
2 Panel Member Document to the Joint Review Panel
3 that describes in detail the results of our
4 technical review and assessment. This Panel Member
5 document will include CNSC staff recommendations to
6 the Panel regarding the Environmental Impact
7 Statement Report including recommendations for
8 elements of a follow-up and monitoring program for
9 the Panel's consideration.

10 CNSC staff will also prepare
11 and participate as the CNSC subject-matter experts
12 in the Joint Review Panel public hearings and will
13 be available throughout the hearings to respond to
14 questions and requests for information.

15 In the next few slides, I will
16 focus on the CNSC staff role with regards to crown
17 consultation for the -- for this project.

18 CNSC staff have been engaging
19 with Aboriginal groups who have an interest in the
20 project since early 2006.

21 As for the Major Projects
22 Management Office Project Agreement and as the only
23 responsible authority for this project, CNSC staff
24 is the Crown Consultation Coordinator for this
25 project; more specifically, the environmental

1 assessment specialist for this file which is Kiza
2 Francis is the Crown consultation coordinator for
3 this project.

4 As the Crown Consultation
5 Coordinator, CNSC staff have been focused on
6 conducting consultations on behalf of the Crown,
7 prior to the hearings, and encouraging Aboriginal
8 groups to participate in the hearings to express
9 any concerns and to identify any potential adverse
10 impacts from the project on potential or
11 established Aboriginal or treaty rights. If the
12 project is approved, CNSC staff will continue
13 engagement activities through the subsequent
14 lessons and phases.

15 CNSC staff are also available
16 for other activities related to Crown consultation
17 that the Panel may direct us to carry out.

18 As indicated earlier, CNSC
19 staff have been involved in this project for many
20 years. To date CNSC staff have identified and
21 engaged with 17 Aboriginal groups. Aboriginal
22 groups were identified based on information
23 gathered from Treaties and Claims, Aboriginal
24 Affairs and Northern Development Canada, previous
25 Crown consultations in the project area, and from

1 the proponent's Aboriginal and public engagement
2 activities.

3 The identified Aboriginal
4 groups have been notified of the project, the
5 review process, and have been invited to
6 participate in the review of the draft Review Panel
7 Agreement and a draft Environmental Impact
8 Statement Guidelines.

9 In 2007 and 2008 CNSC, as well
10 as staff from the Canadian Environmental Assessment
11 Agency, consulted extensively with the Saugeen
12 Ojibway Nation and this resulted in the SON being
13 specifically recognized in the Joint Review Panel
14 Agreement and the Environmental Impact Statement
15 Guidelines.

16 The Joint Review Panel
17 Agreement specifically states that the SON assert
18 that the project is proposed within their
19 traditional territory. The Agreement also states
20 that the Joint Review Panel should conduct a review
21 in a manner that permits it to obtain information
22 and evidence about adverse effects that the project
23 may have on potential or established Aboriginal
24 rights, title or treaty rights as identified by the
25 Joint Review Panel -- to the Joint Review Panel by

1 the SON and it enables it to bring any such
2 information and evidence to the attention of the
3 Minister of the Environment and to the responsible
4 authority of this project and supportive
5 consultation between the Crown and the SON.

6 The Environmental Impact
7 Statement Guidelines state that the proponent must
8 summarize the objectives of and the methods used
9 for Aboriginal consultation. The issues or
10 concerns that were raised from such engagement
11 activities and how the Proponent has addressed the
12 issues or concerns raised by Aboriginal members.

13 Continuing on the activities
14 that have already been completed by CNSC staff.
15 CNSC staff continued to provide project updates and
16 information on the process through letters and
17 meetings since the time OPG submitted their project
18 description. This is ongoing.

19 In addition to the Canadian
20 Environmental Assessment Agency's Regular
21 Participant Funding Program, the Agency also
22 provided two rounds of participant funding
23 specifically for -- to Aboriginal groups under the
24 Aboriginal funding envelope for this project. The
25 first round of funding was awarded for review of

1 the draft Environmental Impact Statement Guidelines
2 and the second round of funding was awarded for the
3 review of the Environmental Impact Statement, as
4 well as for participation in the public hearings.

5 As the Crown Consultation
6 Coordinator, CNSC staff will continue to meet and
7 follow up with Aboriginal groups as appropriate
8 throughout the review period. CNSC staff will also
9 review comments submitted by Aboriginal groups
10 during the review period and will continue to
11 encourage Aboriginal groups to participate in the
12 review process and in the public hearings.

13 In its Panel Member documents,
14 staff will provide a summary of the Aboriginal
15 consultation process activities undertaken to date,
16 and identify issues where adverse impacts to
17 Aboriginal or treaty rights raised by Aboriginal
18 groups, as well as CNSC staff's recommendations to
19 (inaudible).

20 Enduring Aboriginal groups who
21 choose to participate in the process will have the
22 opportunity to provide you, the Joint Review Panel,
23 with their opinions about the project.

24 Following public hearings, CNSC
25 staff will consult on the Joint Review Panel

1 Environmental Assessment Report with Aboriginal
2 groups that participated in this review. Any
3 comments brought forward would be sent to the
4 governing council for consideration.

5 Following the environmental
6 assessment, should the project move to licensing,
7 CNSC staff will also continue engaging with
8 Aboriginal groups through any licensing process or
9 phases.

10 I would now like to summarize
11 CNSC staff role throughout the Joint Review Panel -
12 - the Joint Review Panel review and hearing
13 process. CNSC staff provide technical and
14 scientific support through a variety of different
15 methods. CNSC staff are available to provide
16 technical, scientific or regulatory information.
17 Staff will conduct a detailed, technical,
18 scientific, and regulatory review of the
19 Environmental Impact Statement, as well as the
20 Licence Application, and proposed information
21 request to the Panel is appropriate.

22 Staff will also analyze
23 proposed information requests from other parties
24 and provide that analysis to the Panel. CNSC staff
25 will assess the adequacy of the responses provided

1 from -- by OPG on the information lists and, of
2 course, CNSC staff will respond in a timely fashion
3 to matters directed to them by the (inaudible).

4 CNSC staff also provides
5 support in the form of coordination for Crown
6 consultation activities, as well as for the federal
7 review.

8 After the hearing process and
9 if the governor and council indicates approval of
10 the environmental assessment, CNSC staff will
11 provide support to the Joint Review Panel as it
12 proceeds to a decision on licensing. This could
13 include, as an example, revisions as directed by
14 the Panel of the proposed draft licence and Licence
15 Condition handbook.

16 To conclude, the mission of the
17 CNSC is to protect the health and safety and
18 security of persons and to protect the environment,
19 as well as to implement Canada's international
20 commitments on the peaceful use of nuclear energy.

21 CNSC ensures responsibilities
22 under the *Nuclear Safety and Control Act*, the
23 *Canadian Environmental Assessment Act*, as well as
24 the Crown's duty to consult are fulfilled in
25 respect to licence applications.

1 CNSC staff's role is to support
2 the Commission and, in this case, the Panel, by
3 providing technical, scientific and regulatory
4 information and advice to the Joint Review Panel
5 throughout the process and will, of course, take
6 any direction from the Panel.

7 This concludes our presentation
8 and we're available to answer questions from Panel
9 Members.

10 **THE CHAIRPERSON:** Thank you
11 very much, Dr. Thompson and Mr. Elder.

12 I'll now open the floor to
13 questions from the Panel. Dr. Archibald, would you
14 like to start?

15 **MEMBER ARCHIBALD:** Yes, thank
16 you very much.

17 On Slides 31, 34 and, I
18 believe, 35, you have stated that the CNSC staff
19 role -- primary role is to conduct consultation
20 prior to Panel hearings and to encourage Aboriginal
21 groups to participate.

22 Specifically, the Saugeen and
23 Ojibway Nation is mentioned in this particular
24 panel, in Slide 31 and 34. In 35, the CNSC will
25 continue engagement through any future licensing

1 phases.

2 Is this plan or is the process
3 of engagement described, and over what time scale?
4 In this particular case, you say that "engagement
5 will continue into the future through all licensing
6 phases".

7 **DR. THOMPSON:** Patsy Thompson,
8 for the record.

9 The process that we have
10 followed was one that in 2005 and 2006 wasn't
11 really documented. There was no, for example,
12 guidance from the federal government on the
13 process. And so at that time we had, through
14 research on treaties and claims in the area,
15 identified a number of Aboriginal groups and each
16 of them were contacted in the spring of 2006 to
17 determine -- to ask them if they had an interest in
18 the project.

19 At that time, the only group to
20 come forward with an expression of interest in the
21 project was the Saugeen Ojibway Nation and that
22 resulted in more focused meetings and engagement
23 activities with the Saugeen from about May/June
24 2006 up to the Commission hearings on the
25 environmental assessment track report in October

1 2006.

2 Following that period, there
3 was more guidance and the CNSC developed a more
4 formal protocol on engaging and consulting with
5 Aboriginal groups.

6 And through the additional
7 research that was done, as we identified in the
8 document 17, Aboriginal groups have been identified
9 with an interest in the project.

10 And so moving forward in the
11 past months and moving forward, information will be
12 provided to each of these Aboriginal groups. There
13 are meetings with them when they express an
14 interest. There are follow-up phone calls after
15 letters to make sure that they have received the
16 information and they understand, and we respond to
17 questions.

18 And this process is documented,
19 it's in place, it's posted on the CNSC website and
20 we continue through licensing if the project goes
21 ahead.

22 **MEMBER ARCHIBALD:** It would
23 most likely be appreciated if we could get a
24 summary of this in your presentation when you make
25 the CNSC presentation in future before we go to the

1 public hearings.

2 **MR. ELDER:** Yes. Peter Elder.

3 Yes, we can give the Commission
4 -- the Panel -- like arrange a specific briefing on
5 this aspect of how we approach the duty to consult.

6 I would like to know the
7 concerns of -- one of the things that we -- I
8 forgot to mention on a licensing one is that when
9 you get into the operation phase, licences are
10 normally issued for a defined period of time, five
11 years or 10 years, and there's a public hearing at
12 renewal of each licence. And now, as standard as
13 part of any renewal, we will go back to the
14 Aboriginal groups that have shown an interest in
15 the project or even if they haven't shown an
16 interest in the project, to go back to them on that
17 routine basis and get their input on the -- going
18 forward on the project as well.

19 So there is a codified -- the
20 fact that we've renewed those licences periodically
21 allows us the mechanism to re-engage with the
22 Aboriginal groups as well.

23 **MEMBER ARCHIBALD:** It's simply
24 helpful to have the names of all of the Aboriginal
25 organizations and the time scale over which the

1 future licensing meetings will be held with them.

2 Thank you.

3 Another question; the DGR site
4 is to be classed as a Class I facility, and that's
5 the licence that will be issued for it.

6 Under the Regulations designed
7 to assess compliance and to ensure that the public
8 and environment are protected, as you state, in
9 areas across Canada, in other mining districts
10 where there are uranium mines, mills and processing
11 facilities, there are mine inspectors and site
12 inspectors who operate under CNSC jurisdiction who
13 exist for the responsibilities of licensing and
14 monitoring of these facilities.

15 Do you currently have staff on
16 the Bruce Generating site that conduct such
17 regulatory procedures for the power generation
18 station, and will these same people be licensed
19 regulators for the DGR?

20 **MR. ELDER:** Peter Elder.

21 There are currently site
22 inspectors at the Bruce site. Their primary focus
23 is on the nuclear power plants, the generation
24 stations there. We supplement them by inspectors
25 that come from Ottawa who have more specialized in

1 the waste facilities.

2 We would look on a case by case
3 basis whether we would supplement that office on
4 the Bruce site with an additional inspector focused
5 on DGR, depending on the activities and the
6 frequency we saw that we needed on inspections.

7 So it's not -- I mean, again,
8 we will have an inspection plan, a construction
9 plan, but we do have office space on the Bruce site
10 that we can put additional inspectors if we need
11 to.

12 **MEMBER ARCHIBALD:** This may be
13 off topic. I was just wondering whether you
14 considered this facility through the construction
15 phase to be an operational nuclear site or until
16 the placement of the waste underground, do you
17 consider it at that point where you'd have to have
18 regulatory control?

19 **MR. ELDER:** Peter Elder.

20 You need regulatory control
21 under a construction licence to construct it.

22 It does not become, in our
23 terms, operational until you actually start to
24 place the waste into the facility. And that would
25 be a separate licence, so they would have to come

1 back and ask and come -- make an application for an
2 operating licence before they can start to put
3 waste into the facility.

4 But it is a full regulated
5 facility as soon as there's any licence for it.

6 **MEMBER ARCHIBALD:** Thank you.

7 **THE CHAIRPERSON:** Thank you
8 very much, Dr. Archibald.

9 Dr. Muecke?

10 **MEMBER MUECKE:** Mr. Elder, you
11 referred to Document G320, and in that document it
12 emphasises that approval of the project will depend
13 on a set of acceptance criteria.

14 So my question is, has the
15 Agency developed acceptance criteria for this
16 particular project, have these been documented and
17 are these available?

18 **MR. ELDER:** I'll get Kay
19 Klassen to explain what we have because I think
20 there was some discussion this morning as what we
21 expect on this one is for the Proponent to propose
22 some acceptance criteria that we can review because
23 the acceptance criteria -- any acceptance criteria
24 are going to be very site specific.

25 **MS. KLASSEN:** Kay Klassen from

1 Waste and Decommissioning Division.

2 Yes, OPG submitted several
3 letters talking about the kinds of criteria that
4 they would be applying to the development of the
5 documentation that would make the submission for
6 the licence submission and that material has been -
7 - was looked at by technical staff and letters were
8 issued in the context of accepting the approach,
9 whether -- and assessed as to whether it was
10 following the guidance in G320.

11 Those letters are on the
12 registry. Those were issued a number of years ago,
13 as OPG needed to have an understanding of what it
14 was technical staff would consider appropriate as
15 criteria in the development of their final
16 submissions.

17 **DR. THOMPSON:** Perhaps Dr.
18 Muecke, if I could complement that response.

19 When the CNSC staff is
20 undertaking the technical review of the
21 environmental impact statement and the long-term
22 safety case and the other supporting information,
23 we have what's called a review procedure where
24 we've identified all the sources of technical and
25 scientific information that we will use as a basis

1 for evaluating whether what OPG has submitted is
2 adequate, and that is documented and will be used
3 as the basis for our evaluating.

4 **MEMBER MUECKE:** Would that be
5 available to us?

6 **DR. THOMPSON:** Patsy Thompson,
7 for the record.

8 We can confirm there's various
9 documents that are currently available. I'm not
10 sure if they're all available, but we will confirm
11 with the secretary.

12 **MEMBER MUECKE:** Thank you.

13 **THE CHAIRPERSON:** Thank you,
14 Dr. Muecke.

15 Okay, I'll proceed with some of
16 my questions.

17 The first one is just an
18 overall comment referencing your earlier remark,
19 Mr. Elder, that the Panel will be very much looking
20 forward to a more detailed briefing on the duty to
21 consult and the plans going forward in that regard.

22 Along those lines, I have a
23 question. Did the CNSC contact Aboriginal Affairs
24 and Northern Development regarding that
25 department's interest as a potential expert federal

1 authority and, if so, what was that department's
2 response?

3 **DR. THOMPSON:** Patsy Thompson,
4 for the record.

5 The CNSC has in its process the
6 consultation with that department, and so we do it
7 de facto for all projects.

8 In this case, the consultation
9 led to information on which aboriginal groups
10 should be contacted. There's information on claims
11 and treaties, and so they're the source of the
12 information, part of the information, on which we
13 developed our consultation plan.

14 That department is not like
15 Environment Canada, for example, their Health and -
16 - or DFO, a federal department under the CEAA for
17 expert advice. That's not the function they play
18 in terms of reviewing technical documents from OPG,
19 but they would provide CNSC staff advice as
20 required, as they've done so far.

21 **THE CHAIRPERSON:** Thank you for
22 that clarification.

23 So is there a document trail
24 regarding that advice that you've been receiving
25 from that department?

1 **MS. MANN:** Kimberly Mann, for
2 the record.

3 I'd have to go back into my
4 email to find that chain, but we would have sent a
5 request asking if they can identify the groups in
6 the area that may have interest in the project, and
7 they would have sent that back to us.

8 **THE CHAIRPERSON:** Thank you
9 very much.

10 You mentioned the list of 17, I
11 believe it was, aboriginal groups with whom you
12 plan to consult, or at least continue to check
13 with, with respect to whether they want to
14 participate. Is that correct?

15 **MS. MANN:** Kimberley Mann, for
16 the record.

17 We have a distribution list
18 and, as Dr. Thompson identified, we started with
19 the Saugeen and we took a very broad approach. So
20 if anybody we thought may have interest in the
21 area, we've included them in that distribution
22 list.

23 So to date they would have
24 received the project description, the EIS
25 guidelines -- these were also made for public

1 engagement. We've sent them the announcement that
2 the Panel was struck, the orientation session
3 today. We have a framework about how they can
4 participate throughout your hearing process and
5 throughout this system.

6 We had always contacted them
7 about the participant funding program and
8 encouraged them to request for funding to
9 participate in the hearings, so we will continue
10 providing that information through Ms. Francis, and
11 any major milestones that you have through your
12 hearing process, we will continue sending them
13 information.

14 **THE CHAIRPERSON:** Thank you.

15 Yet another follow-up on the
16 duty to consult. With respect to the methods by
17 which you engage with aboriginal groups, have you
18 consulted with and come up with a plan with those
19 very aboriginal groups regarding some methods that
20 may be more effective than the traditional simply
21 sending emails and posting on web sites?

22 **DR. THOMPSON:** Patsy Thompson,
23 for the record.

24 While they're conferring back
25 there, I'll provide a bit of information.

1 The first contact is either
2 through phone or mail, and then there is follow-up
3 in terms of the best approach.

4 In the case of the Saugeen-
5 Ojibway Nation, for example, we first had sort of a
6 get-to-know-each-other meeting where we had a
7 meeting with the representatives from the
8 communities, the chiefs and the counselors. And we
9 had the CNSC staff, staff from Environment Canada
10 and Health Canada and DFO as a first meeting. And
11 then we agreed on future meetings in terms of --
12 and with agendas on topics that would be discussed,
13 and we've continued with that process.

14 With other groups, there's been
15 a number of contacts, and I will let Ms. Mann
16 describe the process we would use to meet the needs
17 of the communities.

18 **MS. MANN:** Kimberly Mann, for
19 the record.

20 Continuing on, as I discussed
21 we have a framework, so we identified -- part of
22 "the whole-of-government" approach is to integrate
23 after consultation into the EA process so that we
24 can contact and consult with aboriginal groups as
25 early as possible to get their opinions on the

1 project.

2 As Dr. Thompson mentioned,
3 we've been meeting various times with the Saugeen.
4 As for the other groups, in all our letters we
5 consistently advised who the Crown consultation
6 coordinator is. They can contact Kiza now for any
7 questions. We'll take meetings upon request.

8 We haven't received those
9 requests. So should they request a meeting to
10 discuss specific issues regarding the project or
11 any adverse impacts on their rights, we'll be happy
12 to meet with them.

13 **THE CHAIRPERSON:** Thank you,
14 Ms. Mann.

15 **DR. THOMPSON:** Perhaps, Dr.
16 Swanson, if you're interested, Ms. Francis could
17 speak to the discussions she's had with specific
18 groups?

19 **THE CHAIRPERSON:** Thank you.

20 **MS. FRANCIS:** Kiza Francis, for
21 the record.

22 I just wanted to add that we've
23 also met with two other -- well, I'll say a couple
24 of other Métis groups in the area as well. So we
25 have had meetings with them and we have a pretty

1 good relationship with them via phone calls and
2 these meetings that we've already had, so -- and
3 we've had some interest in meetings with other
4 groups as well. So we keep them up to date all the
5 time and we have a good relationship there.

6 **THE CHAIRPERSON:** Thank you
7 very much; glad to about that good relationship.

8 Okay, so I'm going to follow-up
9 even more on the duty to consult.

10 Where can the Panel find
11 documentation of how the CNSC -- as coordinator
12 across all the departments for that matter --
13 integrates the kind of input you receive from the
14 Saugeen and the Métis and whoever else may be
15 participating, into your overall review?

16 I'm seeing a technical review,
17 and then I'm seeing almost a separate path, that is
18 the consultation, but I'm wondering if there is a
19 way of integrating, for example, the kind of
20 traditional knowledge you may be getting during
21 those consultations and folding them into how you
22 would assess the completeness and appropriateness
23 of the impact assessment that has been conducted.

24 **DR. THOMPSON:** Patsy Thompson,
25 for the record.

1 I can start and then I'll ask
2 my colleagues to complete, if necessary.

3 I guess the protocol, the
4 procedure, is that CNSC staff uses are aligned with
5 the Federal Government policy, and documentation is
6 on our web site.

7 In terms of specific projects,
8 the outcomes of all the meetings we have and all
9 the information we receive are documented. We also
10 review all the documents provided by OPG in terms
11 of aboriginal consultation and the issues that they
12 have heard.

13 We have, for example, with the
14 Saugeen requested on a number of occasions that
15 they identify the specific rights that they believe
16 would be impacted by the project, and that
17 information would be brought to the Panel, to the
18 attention of the Panel, to be dealt with
19 appropriately. The Saugeen have indicated that
20 they would provide that information to the Panel,
21 and the CNSC would review all of that information.

22 And we mentioned on one of the
23 slides that the Panel Member Document that we would
24 provide to the Panel at the end of the review
25 process would consolidate all of the aboriginal

1 consultation activities that the CNSC has
2 conducted.

3 We would present all the
4 information we've heard and provide an assessment
5 to the Panel of what, if any, aboriginal treaty
6 rights have a potential to be impacted by the
7 project, and make recommendations to the Panel.

8 So ultimately, all of that
9 information would be in the Panel Member Documents
10 submitted to the Panel.

11 **THE CHAIRPERSON:** Thank you,
12 Dr. Thompson.

13 Was there any other need for
14 clarification on your staff? Okay. Thank you.

15 If I could refer to your slide
16 on your page 35, and the title on this slide is
17 "Crown Consultation Going Forward".

18 There is an indented bullet in
19 there that the Panel would appreciate some
20 additional explanation. The bullet states:
21 "Comments brought forward will be sent to the
22 Governor-in-Council for their consideration."

23 In terms of the overall
24 process, where does this fit?

25 **DR. THOMPSON:** Patsy Thompson,

1 for the record.

2 Essentially, I can provide the
3 -- sort of a theoretical description and then an
4 example of what was done recently for the
5 Darlington new build.

6 So the process is the --
7 there's a review period, then Panel Member
8 Documents are submitted to the Panel. The public
9 hearing takes place, and then at some point the
10 Panel closes the public hearing phase and will
11 draft its report.

12 Once the Joint Review Panel
13 report is provided to the Minister of the
14 Environment, CNSC staff would take that Review
15 Panel report and send it to the Aboriginal groups
16 who have participated during the process for their
17 comments, and essentially it's to see if there are
18 any comments on how the Panel has captured the
19 information on Aboriginal consultation, potential
20 Aboriginal Treaty rights and any consideration of
21 these matters.

22 And so we seek Aboriginal
23 groups' comments on the report, and we would
24 provide that information to the Governor-in-Council
25 when the government is considering making a

1 decision on whether the project should be going
2 ahead or not.

3 **THE CHAIRPERSON:** Thank you for
4 that clarification. That was helpful.

5 I noted with interest that
6 quite early on in the process the CNSC determined
7 that there was no requirement for a provincial
8 environmental assessment.

9 I'm -- we were just wondering
10 as a Panel, though, whether the CNSC as the
11 responsible authority has continued to consult with
12 or involve provincial authorities in any way.

13 **DR. THOMPSON:** Patsy Thompson,
14 for the record.

15 It's actually not CNSC staff
16 who determined that the province had no interest.
17 We sent letters and met with provincial officials
18 to understand their EA and licensing process,
19 authorization process. And through those meetings
20 and understand discussions of the project, they
21 concluded that their environmental assessment
22 legislation did not cover these types of projects,
23 so it's on that basis that no provincial
24 environmental assessment is required.

25 The Province of Ontario have

1 indicated that for certain things they have an
2 interest in receiving information, and so we --
3 they're aware of the project and have exchanged
4 with them, and if they have -- if they're
5 interested in conducting technical reviews and
6 either submitting information to the Panel or to
7 CNSC staff, we would consider it.

8 And so they are in the loop in
9 terms of being aware of the project and they've
10 been invited to participate as technical reviewers.

11 **THE CHAIRPERSON:** So
12 supplementary to that, then, may I ask, please,
13 that the Panel be informed of which specific
14 provincial agencies have been invited to
15 participate in the technical review? That would be
16 helpful.

17 And as a follow-up to that,
18 going down the layers of government, similar
19 question regarding municipal bodies who may have
20 been invited to comment or have expressed an
21 interest or a desire to comment.

22 This is an overall question,
23 again, from the Panel. We are -- as part of our
24 attempt to ensure that we are aware of all the
25 expertise, may I ask, please, that the CNSC provide

1 us with the full list of your experts, their area
2 of expertise and their assignments in terms of
3 which particular parts of the -- in this case I'm
4 referring to the EIS for starters -- that they're
5 reviewing, please?

6 **MR. ELDER:** Peter Elder.

7 We can provide you with a list
8 of our reviews, I think both for the EIS and for
9 the licence application information.

10 **THE CHAIRPERSON:** Thank you
11 very much. We'd appreciate that.

12 My next question is shifting
13 gears a little bit. This is -- if we could refer
14 to page 29. And in the verbal discussion and
15 leading up to this slide as well, words were used
16 around -- that it referred to, quote: "Appropriate
17 handling of uncertainty".

18 I pricked up my ears at that
19 one because that, of course, is central.

20 Where could the Panel find some
21 documentation from the CNSC's point of view on what
22 constitutes appropriate handling of uncertainty?

23 **DR. THOMPSON:** Patsy Thompson,
24 for the record.

25 We, a few minutes ago,

1 discussed the staff review procedures and as well
2 as G320, and so we could, if the Panel is
3 interested, come back either with documentation or
4 an information session on the geoscience aspects of
5 the review, as well as the expectations in terms of
6 how the Proponent will deal with uncertainties.

7 **THE CHAIRPERSON:** Thank you
8 very much.

9 Yes, I think you can anticipate
10 we'll be asking for something like that.

11 A question regarding the Panel
12 Member Document; again, will this document
13 integrate the results of your technical review with
14 the results of your consultation with Aboriginal
15 groups?

16 **DR. THOMPSON:** Patsy Thompson,
17 for the record.

18 That's correct. The Panel
19 Member Document is the document we will be
20 providing the Panel on the EIS review, and Mr.
21 Elder talked about the CMD which would handle the
22 licence prepare site.

23 And in that case, it would
24 integrate the staff's review of all aspects of the
25 EIS and technical support information, as well as

1 the outcome of the Aboriginal consultation
2 engagement.

3 **THE CHAIRPERSON:** Thank you
4 very much.

5 I think that ends the questions
6 from the Panel.

7 If I may though, I would like
8 to return back to OPG. We did have one follow-up
9 question that we neglected to ask the OPG, and this
10 is a procedure question.

11 How will -- how do you intend
12 to handle corrections or amendments or addenda to
13 the EIS or the supporting documents? How will this
14 be handled?

15 Will people be getting
16 replacement pages or will there be other ways of
17 handling the tracking of amendments, corrections,
18 revisions?

19 **MR. KING:** Frank King, for the
20 record.

21 You will have noted in the last
22 week or so, OPG has provided two letters. One of
23 them was related to corrections, errata with
24 respect to a number of documents in the submission,
25 and the other one was related to an update of the

1 design description in Chapter 6 of the PSR.

2 It's not our intent right now
3 to actually issue updated pages, that we consider
4 the letters submitted as the record of that updated
5 information.

6 **THE CHAIRPERSON:** Perhaps, Dr.
7 Muecke, did you have a comment on that?

8 I think you originated this
9 question.

10 **MEMBER MUECKE:** Well, I think
11 we have a problem here in that if -- from the
12 information requests and the corrections and the
13 amendments, okay, we are going to be faced with
14 numerous documents which we have to cross-reference
15 because the information is dispersed now between
16 the main document and all these amendments.

17 And I guess what I would be
18 looking for is a way of having a master document
19 which has -- incorporates, okay, which I can look
20 at instead of having to consult numerous documents.
21 And so anything along those lines which helps the
22 Panel would be -- I'm sure would be appreciated.

23 **MR. KING:** Frank King, for the
24 record.

25 I will undertake that we will

1 look at that suggestion and see what alternatives
2 might be available to meet your need.

3 There are some complexities in
4 doing that for a wide-range of people who have
5 received the documents, but we will look into the
6 practicalities of that and see if we can meet that
7 need.

8 **THE CHAIRPERSON:** Thank you
9 very much. We very much appreciate it on behalf
10 not only of the Panel, but other people who will be
11 coping with the waves of amendments and
12 corrections.

13 So even if there is some way of
14 a master cross-reference table so we know where
15 these various corrections specifically apply, that
16 would be great.

17 **MR. KING:** Frank King, again.
18 If I could just say one more
19 comment.

20 In the letters that were
21 submitted, we did indicate in what sections of the
22 documents those changes would be applicable. The
23 only place where we did not specifically is that
24 some of the illustrative drawings where we've made
25 a fairly minor change, those drawings are in many,

1 many places and we didn't go through every single
2 place, but I think we made reference to that in the
3 letter.

4 But the two tables that we
5 submitted to you say in which section, which
6 document the changes or the errata are applied to.

7 **THE CHAIRPERSON:** Yes, we were
8 aware of that. Thank you.

9 We seem to have come to the end
10 of questions and it's a natural break for lunch, so
11 we're a little bit ahead of schedule, which is fine
12 by me.

13 So it's now about five to 12,
14 so if we could reconvene right around 1 o'clock,
15 that would be appreciated.

16 Thank you very much.

17

18 --- Upon recessing at 11:54 a.m. /L'audience est
19 suspendue à 11h54

20 --- Upon resuming at 1:06 p.m./L'audience est
21 reprise à 13h06

22

23 **THE CHAIRPERSON:** Good
24 afternoon, everyone.

25 The afternoon session will now

1 begin.

2 First of all, I would like to
3 apologize to those who are participating by
4 webcast. Apparently my watch is a little fast and
5 -- or I gave the wrong time, so I will endeavour to
6 follow the correct clock, which is now in front of
7 me, so that people on the webcast don't miss some
8 of our proceedings.

9 So it is now 1:02 by the clock,
10 and we will now proceed with the presentation by
11 Fisheries and Oceans.

12 Ms. Larochelle, the floor is
13 yours.

14

15 **Presentation From**
16 **Fisheries and Oceans Canada**

17

18 **MS. LAROCHELLE:** Thank you.

19 Good afternoon. I'm Chantal
20 Larochelle, the Acting Director for Ecosystems
21 Management Branch within the Ontario/Great Lakes
22 area at the Fisheries and Oceans Canada.

23 I will provide a brief overview
24 of Fisheries and Oceans Canada's role and
25 responsibility related to the *Fisheries Act* as well

1 as our estimated role related to the DGR.

2 Ecosystems Management Branch,
3 we administer the fish habitat protection
4 provisions of the *Fisheries Act*. We also
5 administer *Species at Risk Act*, we conduct
6 environmental assessments under the *Canadian*
7 *Environmental Assessment Act*, and in Ontario we
8 also participate in provincial environmental
9 assessment and regulatory reviews for providing
10 specialist and expert advice.

11 The *Fisheries Act*, it's used to
12 manage and protect Canada's fisheries resources.
13 It applies to all fishing zones. It focuses on the
14 habitat protection provisions as well.

15 We define "fish" as including
16 fish, shellfish, crustaceans, marine animals and
17 any of their parts, eggs, sperm, spawn, larvae,
18 spat, juveniles -- and any juvenile stages.

19 *Fisheries Act* is also defined
20 by spawning grounds and nursery rearing -- sorry,
21 fish habitat is defined as spawning grounds and
22 nursery rearing, food supplies, migration and any
23 other areas of which fish depend on, directly or
24 indirectly, in order to carry out their life
25 processes.

1 At the Ecosystems Management
2 Branch we manage the habitat protection provisions
3 of the *Fisheries Act*, starting with section 20,
4 which requires safe passage of fish past
5 obstructions.

6 And if you look at the photo up
7 on the top right corner, that's not the right
8 definition. That would not be a safe passage for
9 fish going upstream or downstream.

10 Section 22 requires minimum
11 flows over obstructions.

12 Habitat protection provisions,
13 section 30, the installation of fish guards and
14 screens. So if you look at the bottom of the photo
15 there, there's a screen at the bottom. That would
16 protect fish from being sucked in.

17 Habitat protection provisions
18 of section 32 is the destruction of fish. An
19 example of that would be road pipes or bedrock
20 being blown up. We have guides that limit the
21 impacts.

22 Section 35 is the prohibition;
23 harmful alteration, disruption or destruction of
24 fish habitat is prohibited. Section 35(2) is the
25 authorization to do so under very strict

1 guidelines.

2 Pollution prevention provisions
3 under section 36, deposit of deleterious substances
4 into waters frequented by fish. An example of that
5 would be pulp and paper mills. That's regulated or
6 administered by the environment -- by Environment
7 Canada. It's an industry-based regulation.

8 The policy for management of
9 fish habitat was created in 1986, it provides
10 guidance -- sorry. I'm a little behind there.

11 It provides guidance in the
12 administration of the habitat protection provision
13 of the *Fisheries Act* from sections 20 to 35.

14 Overall objectives is a net gain of productivity
15 capacity -- productive capacity through
16 conservation, restoration and development of new
17 habitat.

18 The no net loss of productive
19 capacity is the guiding principle of habitat
20 conservation.

21 In the standard operating
22 procedure, basically the idea is to relocate, to
23 mitigate and to compensate. That's basically what
24 this slide says.

25 The risk management decision

1 framework, it's a consistent approach to decision
2 making and it provides a means to communicate how
3 that decision was made. It's a process where we
4 analyze the development proposals and the
5 mitigation to eliminate or minimize residual
6 effects to fish and fish habitat.

7 It assesses residual effects
8 and characterizes the risks they pose to fish and
9 fish habitat, uses risk analysis to determine the
10 appropriate regulatory decisions or actions,
11 provides a framework to communicate to the
12 Proponent or stakeholders the rationale for DFO's
13 decisions.

14 *Species at Risk Act*
15 fundamentally provides the recovery of wildlife
16 species that are extirpated, endangered or
17 threatened as a result of human activity, and it
18 manages species of special concern to prevent them
19 from becoming endangered or threatened.

20 DFO is responsible for
21 administering the Act for aquatic species of
22 wildlife.

23 Under SARA, the Minister of
24 Fisheries and Oceans is the competent Minister for
25 listed aquatic species, including fish and marine

1 plants. The role of the ecosystems management
2 program includes consideration of aquatic species
3 at risk and their habitat.

4 Decision making in the *Canadian*
5 *Environmental Assessment Act*; An environmental
6 assessment under the *Canadian Assessment Act* (sic)
7 must be completed prior to issuing an approval
8 under any of the following sections of the
9 *Fisheries Act*, and these are our triggers, section
10 22, both sub-sections (1) and (2), sections 32 and
11 35.2.

12 Joint Review Panel for the
13 environmental assessment is based on a preliminary
14 assessment of the environmental impact study.
15 Fisheries and Oceans Canada has determined that the
16 impacts to fish and fish habitat appear minor in
17 nature and likely mitigable, that it's unlikely
18 that a *Fisheries Act* approval will be required.

19 That will not be a -- we will
20 not be a responsible authority within the meaning
21 of the *Canadian Environmental Assessment Act*.
22 Fisheries and Oceans Canada will undertake a more
23 thorough review of the environmental impact study
24 and any other supplementary information provided by
25 the proponent during the Panel's public comment

1 period.

2 Fisheries and Oceans Canada
3 will participate as a federal authority for the
4 purposes of the environmental assessment and
5 provide advice to the Panel as requested.

6 The information needs for the
7 *Fisheries Act* are the Gazette and name, where
8 available, and location of all potentially affected
9 watercourses in the vicinity of the project;
10 photographic record for on site and upstream,
11 downstream water courses where proposed works occur
12 or near water -- in or near water; certified plans,
13 drawings of proposed works; list of equipments,
14 materials to be used which might impact
15 watercourses; proposed construction methods and
16 timing for in or near-water work; mitigation
17 measures for all works and undertakings in and near
18 watercourses; the baseline information of the fish
19 habitat and the potentially affected watercourses,
20 and baseline information on the manner by which the
21 fish community uses the habitat in terms of
22 spawning, nursery rearing, feeding and migration
23 corridors; baseline information use of the
24 indigenous fish populations as a commercial,
25 recreational or substance fishery, if applicable.

1 And here are the available
2 online resources if you wanted to look at a variety
3 of those resource tools that we use to do our
4 assessments.

5 Lisa Fowler is our
6 environmental assessment analyst. She was the one
7 and will be the one who participates in the review,
8 and Dave Gibson is the guide from the fish habitat
9 perspective. And I open the floor to questions.

10 **THE CHAIRPERSON:** Thank you
11 very much. I'll now open the floor to questions.

12 First, Dr. Archibald, do you
13 have some questions?

14 **MEMBER ARCHIBALD:** I would ask
15 you to look at your slide, the Joint Review Panel
16 Environmental Assessment. I believe it's probably
17 five back from the end of the presentation, in
18 which the statement begins:

19 "Based on a preliminary assessment, Fisheries and
20 Oceans Canada has determined..."

21 And again, you make three
22 conclusions. Your first one is that the impact
23 appears minor in nature and likely mitigable.

24 In this particular case, I
25 would ask if the assessment conclusions are

1 preliminary in nature, and where is the information
2 that this conclusion was based upon?

3 **MS. LAROCHELLE:** The
4 information is preliminary and an assessment was
5 provided to the Panel when it was concluded. Maybe
6 not to the Panel, but to CNSC, I'm gathering.

7 **DR. ARCHIBALD:** Okay. In your
8 second phrase, then, you also say that in this --
9 it is said that it is unlikely that a *Fisheries Act*
10 approval will be required.

11 Is it more likely rather than
12 unlikely? Because there are impacts on fisheries -
13 - on fish habitat and fish properties and so on.
14 So you will have to render a decision. If it's
15 unlikely, why?

16 **MS. LAROCHELLE:** If it is
17 unlikely, based on the information -- this was a
18 preliminary review and so the unlikeliness stated
19 in this is based on the information that we
20 currently have. If it is to be likely -- sorry, it
21 is unlikely based on the information that we have,
22 and it is unlikely because it can be mitigated.

23 **DR. ARCHIBALD:** And yet you
24 also state that further studies are going to be
25 necessary based upon information that you will

1 obtain through the process of the environmental
2 assessment progress.

3 Is this not a little bit too
4 preliminary to make that justification?

5 **MS. LAROCHELLE:** Correct.

6 **DR. ARCHIBALD:** Okay. And the
7 last part of that, that we will not -- this being
8 Fisheries and Oceans -- will not be a responsible
9 authority within the meaning of the *Canadian*
10 *Environmental Assessment Act*.

11 If not, then who will be the
12 regulatory authority, at least for fish habitat and
13 other such studies?

14 **MR. LAROCHELLE:** The idea is
15 that there wouldn't be a role for Fisheries Canada.

16 **DR. ARCHIBALD:** Then will that
17 role, or any part of that role, be abrogated to
18 some other regulatory authority? Would you know of
19 that?

20 **MR. LAROCHELLE:** I would not.

21 **DR. ARCHIBALD:** Okay. Because
22 there seems to be a fairly glaring omission in
23 terms of the regulatory concept.

24 If Fisheries and Oceans is not
25 going to have any part of this does that mean that

1 you're going to cede this to provincial
2 authorities? Is this going to go to some other
3 federal authority or regulator? Is there any
4 information that you can provide in this case?

5 **THE CHAIRPERSON:** Dr.
6 Archibald, I understand that CNSC may be able to
7 help us with this.

8 **DR. THOMPSON:** Patsy Thompson,
9 for the record.

10 Perhaps I could -- for CNSC
11 staff -- perhaps I could explain the process we
12 went through to identify which departments are a
13 responsible authority for this project.

14 Essentially, we received a
15 project description from Ontario Power Generation
16 and through the federal coordination regulations
17 under the *Canadian Environmental Assessment Act* we
18 distributed the project description.

19 And on the basis of the project
20 description and the fact that the DGR is a land-
21 based project and the project description and the -
22 - our preliminary review of the potential
23 environmental effects of the project would be that
24 there would not be a disruption of fish habitat in
25 -- with the need for a permit or an authorization

1 from DFO.

2 So on that basis, at the
3 current time, the only responsible authority for
4 the project is the Canadian Nuclear Safety
5 Commission because only that licence would be
6 required. The process is open that if further
7 information becomes available through the process
8 then DFO is within the federal review team and
9 would reassess on the basis of that information.
10 But with the existing information, there's only one
11 responsible authority.

12 **DR. ARCHIBALD:** Thank you very
13 much. There was confusion over the existing works'
14 future. Thank you.

15 **THE CHAIRPERSON:** Dr. Muecke?

16 **MEMBER MUECKE:** Well, my
17 question sort of meshes into this, and perhaps has
18 been answered.

19 What concerns me and concerns
20 us is that there is -- in terms of
21 responsibilities, there seems to be an overlap
22 between Department of Fisheries and Environment.
23 And I guess we're wondering how such overlaps are
24 handled and concerned about any possible gaps that
25 ever -- you know, where information may fall

1 through, sort of, the mesh because neither agency
2 will address it.

3 Can you tell me how -- could
4 you tell us how any sort of overlaps like that are
5 resolved?

6 **MS. LAROCHELLE:** If there was
7 an overlap, the communication between the two
8 departments would work out. If there was a need
9 for communication between the two departments, that
10 would take place through the CNSC and the committee
11 that has been struck to review the documentation
12 that's going -- that's being presented.

13 **MEMBER MUECKE:** So who's
14 responsible, then, mainly DFO or mainly
15 Environment, in terms of habitats?

16 **MS. LAROCHELLE:** Fisheries and
17 Oceans Canada has the responsibility for habitat.

18 **THE CHAIRPERSON:** Thank you.

19 I think, further to Dr.
20 Muecke's question, the other Act, of course, is the
21 *Species at Risk Act*. Now, as I recall, you said
22 that DFO deals with aquatic listed species so I'm
23 assuming that perhaps Environment Canada does the
24 rest or it reviews SARA-related issues for
25 terrestrial?

1 **MS. LAROCHELLE:** I'd have to
2 get back to you to define that line.

3 **THE CHAIRPERSON:** I think that
4 illustrates Dr. Muecke's point. We just need some
5 clarity on -- to make sure that nothing falls
6 through the cracks, and in turn, too, the type of
7 advice that you would then pass on to -- via CNSC
8 and also directly to us as the Panel any advice you
9 may have on SARA from Fisheries and comparing and
10 contrasting the advice we may get from Environment
11 Canada under SARA.

12 I understand that Dr. Thompson
13 has more wisdom to offer us on this one.

14 **DR. THOMPSON:** Patsy Thompson,
15 for the record.

16 I just wanted to point out that
17 what we explained this morning in our presentation
18 is that the CNSC Environmental Assessment
19 Specialist, Ms. Kiza Francis, is the federal review
20 team coordinator and one of the functions she has
21 is to make sure that there is coordination among
22 the various federal departments involved in the
23 review, and these issues would be dealt with
24 through Ms. Francis with the federal review team.
25 So we would make sure that nothing falls through

1 the cracks.

2 **THE CHAIRPERSON:** Thank you,
3 that was helpful.

4 I had another question, this is
5 with respect to your slide; referred to the DFO's
6 use of a risk management decision framework.

7 Given that your initial
8 evaluation is now going to be followed up and I'm
9 assuming in your more detailed technical review as
10 experts, you would be using this risk management
11 decision framework. Is that correct?

12 **MS. LAROCHELLE:** Yes, it is.

13 **THE CHAIRPERSON:** Therefore,
14 where would the Panel find a description of this
15 framework?

16 **MS. LAROCHELLE:** It's listed at
17 the back, on the very last slide, or the second-
18 last slide, as one of the resources, available
19 online resources.

20 **THE CHAIRPERSON:** Thank you
21 very much. So that would be the third reference
22 listed in your list of references there?

23 **MS. LAROCHELLE:** Correct.

24 **THE CHAIRPERSON:** Thank you.

25 My final question, and again I

1 may have to call upon Dr. Thompson as well, this is
2 again in terms of documenting the decisions that
3 have been made up to now.

4 So we understand from Ms.
5 Larochelle's presentation that there's been a
6 preliminary determination that the habitat
7 provisions, at least under the *Fisheries Act*, are
8 not triggered.

9 Is that determination
10 documented and, if so, where?

11 **DR. THOMPSON:** Patsy Thompson,
12 for the record.

13 All the -- when we receive a
14 project description and the federal coordination
15 regulations were triggered, letters were sent to
16 each department with a project description and the
17 responses came back documented, and this
18 information is on the public registry so it can be
19 provided to the Panel.

20 **THE CHAIRPERSON:** Thank you
21 very much.

22 Do my fellow Panel Members have
23 any follow-up questions?

24 Okay, thank you very much.

25 We're now going to move on to a

1 presentation by Environment Canada.

2 I understand the presenter is
3 Mr. Leonardelli? Yes.

4 Okay, so we'll allow you to
5 take your place up at the front here.

6 **(SHORT PAUSE)**

7 **THE CHAIRPERSON:** While we're
8 getting set up and as a point of information, we're
9 clearly, again, going to be ahead of schedule this
10 afternoon.

11 So in particular for those who
12 are joining us by webcast as well as for those of
13 you here, I think it's fair to say that we will
14 probably be adjourning earlier than originally
15 planned. Just for those who are on the webcast, to
16 be aware of that.

17 Therefore, the timing of the
18 breaks and the timing of the presentation will not
19 be as distributed in the original agenda; just to
20 be aware of that as well.

21

22 **Presentation from**
23 **Environment Canada**

24

25 **MR. LEONARDELLI:** Good

1 afternoon. My name is Sandro Leonardelli; I'm a
2 Senior Environmental Assessment Officer with
3 Environment Canada. And beside me is Hal Leadlay,
4 and he's a Manager within the Environmental
5 Assessment and Marine Programs here in Ottawa.

6 So the first slide outlines
7 what we're going to talk about today. We're going
8 to talk about EC's mandate and the legislation that
9 provides that mandate. We'll speak to our role in
10 the EA process, key areas of expertise that we
11 have, and the key issues that we see that we would
12 be involved in within the review.

13 So when I describe our various
14 mandates, I'm going to indicate how those mandates
15 are specifically relevant to the DGR project, and I
16 think this should help you to understand what EC
17 will be reviewing in relation to those specific
18 mandates.

19 And in the last few slides,
20 we'll be indicating some of the specific review
21 topics that we'll be focusing on.

22 So the first slide deals with
23 the general mandate of our department which is
24 determined by various statutes and regulations that
25 are assigned by Parliament through the Minister of

1 the Environment.

2 Our mandate is delivered
3 through various policies, guidelines, codes of
4 practice, inter-jurisdictional and international
5 agreements, and a variety of programs.

6 In terms of the specific
7 legislation and policies that Environment Canada
8 has, the ones that are listed here are the ones
9 that are applicable, as we see it, to the DGR
10 project.

11 So the first one is the
12 *Department of the Environment Act*. The next one is
13 the *Fisheries Act* which hopefully in our discussion
14 will provide some additional clarity in light of
15 your earlier question to the DFO, and then we'll go
16 through the *Migratory Birds Convention Act*, *Species*
17 *at Risk Act*, federal policy on wetlands
18 conservation, the Great Lakes Water Quality
19 Agreement which is an international agreement with
20 the U.S., and the *Canadian Environmental Assessment*
21 *Act*.

22 Okay, so the *Department of the*
23 *Environment Act* is what established Environment
24 Canada as a department. And the Act defines
25 Environment Canada's mandate very broadly as being

1 related to the natural environment, migratory
2 birds, water, meteorology, boundary water issues --
3 that would be waters that are shared with the
4 United States -- and federal coordination and
5 advice.

6 The relevance to the DGR is the
7 DOE Act; basically establishes our broad mandate.

8 So some of the more specific
9 Acts would include the *Fisheries Act* and the
10 *Fisheries Act* is largely the responsibility of DFO.
11 However, EC has been given the administrative
12 responsibility for the pollution prevention
13 provisions of the *Fisheries Act* and the main -- the
14 main responsibilities with regards to subsection
15 36.3, and this has to do with the release of
16 deleterious substances into waters frequented by
17 fish. So:

18 "Unless authorized by federal regulation, no person
19 shall deposit or permit the deposit of deleterious
20 substances of any type in water frequented by fish
21 and no deposit of a deleterious substance in any
22 other place where it may enter such waters." (As
23 read)

24 So for the second sub-point an
25 example of that would be, for example you could

1 have a spill on land, it could enter a waterway
2 that's frequented by fish.

3 The definition of deleterious
4 substance includes any substance with a potentially
5 harmful chemical, physical or biological effect on
6 fish or fish habitat.

7 So in the case of this project,
8 we see potential issues with suspended solids,
9 metals, and other contaminants.

10 Under the *Fisheries Act*,
11 compliance with the Act is demonstrated through
12 effluent toxicity tests. The toxicity of that
13 effluent is assessed on the basis of undiluted
14 effluent.

15 So there is no dilution that's
16 allowed or any mixing zone subsequent to the
17 release into the waterway. So, you know, under
18 some jurisdictions' legislation, they allow mixing
19 of the effluent and then they measure the effect.
20 That's not the case under the *Fisheries Act*.

21 And there is no exemption from
22 the *Fisheries Act*. What that means is that even if
23 there's a provincial or territorial or municipal
24 permit that gets issued for a release into a
25 waterway, that does not absolve them of the

1 *Fisheries Act*. The Proponent must still
2 demonstrate compliance with the *Fisheries Act*.

3 So in terms of the direct
4 relevance to the DGR, the Proponent must ensure
5 that the effluent discharges are not in
6 contravention of the Act and in particular, as we
7 see it for this project, that would involve
8 releases from storm water, the run-off from the
9 waste rock pile, discharges of -- from the
10 dewatering of the repository, any accidental
11 spills, and the possible migration of contaminants
12 from shallow groundwater into surface waters.

13 Okay, the next Act is the
14 *Migratory Birds Convention Act*. It implements the
15 Canada/U.S. Convention for the Protection of
16 Migratory Birds. It protects and conserves
17 migratory birds, and there's a list of those --
18 what birds constitute migratory birds.

19 Subsection 5.11:
20 "Prohibits depositing or permitting the deposit of
21 a substance that is harmful to migratory birds in
22 waters or an area frequented by migratory birds, or
23 in a place from which the substance may enter such
24 waters in such an area." (As read)

25 And subsection 6(a) is under

1 the Migratory Bird Regulations and it:
2 "Prohibits the disturbance, destruction or taking
3 of a nest, egg or a nest shelter of a migratory
4 bird without a permit." (As read)

5 Under the Act, there is no
6 permitting for incidental take, that as to, you
7 know, accidental killing of wildlife -- or of
8 migratory birds.

9 In terms of the direct
10 relevance to the project, subsection 6(a) is
11 relevant to the timing of the site preparation
12 activities.

13 So what we mean by that is
14 there may be birds nesting in the habitat that's on
15 the actual project site that is going to be
16 disturbed, so trees might be cut down for example,
17 construction activities will be undertaken.

18 EC defines a time period during
19 which those types of activities cannot interfere
20 with the nesting of the birds.

21 So we'll point out the guidance
22 on that as part of the review.

23 There may be other site
24 alterations impacting migratory bird habitat. We
25 take a look at that.

1 Now, one thing to note though
2 is that the DGR has a fairly limited surface
3 footprint. It's a fairly small project site and
4 there's no significant terrestrial habitat on that
5 site. So it's fairly limited in terms of the
6 potential impact on migratory birds.

7 The next Act is the *Species at*
8 *Risk Act*, and under this Act -- the purpose of the
9 Act is to prevent species from extirpation or
10 extinction. It also allows for recovery strategies
11 to be developed for these species in order to help
12 the population recover.

13 It also manages species of
14 special concern that aren't specifically listed as
15 species at risk, and the intent of the Act is also
16 to protect the critical habitat that these species
17 rely upon.

18 Now, section 32 and 33 of the
19 Act make it an offence to kill, harm, harass,
20 capture or take an individual of a listed wildlife
21 species:

22 "To damage or destroy the residence of one of more
23 individuals of a listed species." (As read)

24 And it allows for recovery
25 strategies for the re-introduction into the wild in

1 Canada of these species.

2 Now, the application of the Act
3 is important. It will apply to listed species
4 wherever they are found if they are also listed
5 under the *Fisheries Act* or *Migratory Birds*
6 *Convention Act*. However, any other species that's
7 not under those two Acts would -- the Act would
8 only apply on federal lands for any of those other
9 species.

10 So in the case of the DGR site
11 it's provincial land, so you could have a situation
12 where a listed species is not a migratory bird and
13 it's on provincial land, so our Act, that would not
14 apply in that scenario.

15 So in terms of the relevance to
16 the project, we would be conducting an assessment
17 to identify what potential adverse effects could
18 occur from the project on listed wildlife species,
19 and in doing so we would identify any measures to
20 avoid or lessen the effects and monitor those
21 effects.

22 We also have a federal policy
23 on wetland conservation, and the idea is to promote
24 the conservation of Canada's wetlands. It requires
25 us to consider wetland concerns in the

1 environmental assessments as we do our review.

2 And when we say "wetlands", we
3 have a very broad definition of them that includes
4 bogs, fens, marshes, swamps and shallow waters.

5 In terms of the direct
6 relevance to the project, we would be looking to
7 ensure that the protection of wetlands that are
8 onsite or proximal to the DGR site. An example of
9 a wetland that's proximal to the site would be the
10 Baie Du Doré Wetland. In terms of something that's
11 actually on the project site, there are some
12 smaller wetland areas in and around the actual --
13 the project footprint.

14 The policy though has less weight
15 due to the fact that it's not on federal lands.
16 But even so we would still be looking for any other
17 factors that could cause effects, such as from
18 affluence discharge into a wetland, for example, or
19 even from a change in the groundwater level that
20 could affect the level of waters within a wetland.

21 Those are a couple of examples
22 of what we'd be looking at.

23 Okay, in terms of the Great
24 Lakes Water Quality Agreement, this is a much
25 broader type of mandate that we have to work within

1 or conduct our review within.

2 A little bit of background on
3 it; the Great Lakes Water Quality Agreement is --
4 it reflects the commitment between Canada and the
5 United States to restore or maintain the chemical,
6 physical and biological integrity of the Great
7 Lakes Basin ecosystem, and it includes a number of
8 objectives and guidelines to achieve those goals.

9 The mechanism for a bi-national
10 discussion on Great Lakes issues is through the --
11 a group called The Great Lakes Bi-National
12 Executive Committee, and it's co-chaired by
13 Environment Canada and by the United States
14 Environmental Protection Agency.

15 In terms of Lake Huron itself,
16 there's a bi-national partnership which is a forum
17 for lake-wide management, and they deal with issues
18 that are specific to Lake Huron.

19 We have noted that in the --
20 since the announcement of the DGR project, there's
21 been concern that's been raised by U.S.-based
22 parties in regards to what the potential impacts
23 might be from the project on Lake Huron.

24 So Environment Canada has to
25 evaluate the project in light of the Great Lakes

1 Water Quality Agreement in order to understand what
2 effects, if any, could occur to Lake Huron and then
3 to evaluate those effects in light of any Great
4 Lakes Water Quality Agreement commitments that we
5 may have.

6 In terms of the *Canadian*
7 *Environmental Assessment Act*, this just basically
8 outlines -- this slide just basically outlines the
9 fact that we're a federal authority under the
10 project and that we are to provide specialist or
11 expert information or knowledge with respect to the
12 project on request, and that request has been made,
13 and to make available that information or knowledge
14 to the responsible authority or mediators or a
15 review panel.

16 So we're here to provide
17 scientific expertise. And the scope of our expert
18 information or knowledge is that which lies within
19 Environment Canada's mandate as I had outlined.

20 So now we get into some
21 specifics, and this slide will -- the following
22 slides will outline the specific review topics;
23 I'll speak to them generically with a little bit of
24 detail to give you a sense, but if you have any
25 further questions by all means you can ask me at

1 the end.

2 In terms of water issues, we'd
3 be looking at storm water management issues, and
4 related to that is waste rock pile, so we'd be
5 looking at the quality of the -- the storm water
6 releases -- sorry, the storm water quality and the
7 quantity of that.

8 So in terms of quality, we
9 would be looking at issues, for example, of acid --
10 potential acid generation from the rock pile.

11 We'd want to ensure that that's
12 well understood, whether there is any acid-
13 generating potential. If there is, how that would
14 be managed.

15 Our understanding of the
16 project is that during dewatering of the
17 repository, they'll be pumping that water out into
18 the storm water management system, so we'd want to
19 take a look at the quality of that, you know, what
20 treatment would be undertaken, if necessary.

21 During construction, you have a
22 lot of soil disturbance, so total suspended solids
23 becomes a very important issue to look at during
24 the site preparation and construction phase.

25 And longer term, in terms of

1 the storm water management pond being there, we'd
2 also take a look at the sizing of the pond to
3 ensure that it's capable of handling the design
4 storms, and also to factor in the evidence that --
5 the duration and intensity of precipitation events
6 as changing in light of climate change, and that
7 the ponds would be appropriately sized to handle
8 that, to factor that.

9 In terms of hydrogeology, our
10 role is limited to shallow groundwater as it
11 relates to potential groundwater interactions with
12 surface waters.

13 So those interactions are in
14 terms of water quality, so if you have contaminated
15 groundwater, and to what extent and how is it
16 impacting on surface waters.

17 In terms of quantity, it would
18 -- we would be looking at things like if there's a
19 drop in groundwater levels, would it affect the
20 flow of water, the water supply into, for example,
21 wetlands, or into a nearby stream.

22 That would be the extent of it
23 though. We're focused on the shallow groundwater
24 system. We lack the expertise regarding the
25 contaminant migration of groundwater modelling that

1 is a key aspect of the DGR review.

2 So what we're saying here is
3 that the migration of contaminants from the
4 repository to the surface through time, that's not
5 something that we're capable of reviewing, and the
6 CNSC and NRCan, Natural Resources Canada, it's our
7 understanding, would be addressing this aspect.

8 In terms of the aquatic
9 environment, you know, would there be any effects
10 from, for example, any discharges from the site
11 that could affect the aquatic biota. There are
12 always potential accidents and malfunctions that
13 can occur. That also can occur with simple things
14 like during site preparation and construction
15 activities, you could have a spill of diesel fuel,
16 for example, so we want to make sure that spills
17 are appropriately dealt with in the planning for
18 the project.

19 We've also listed trans-
20 boundary issues, so in terms of trans-boundary
21 issues, the First Nations is a key element; would
22 there be any impacts to water and aquatic biota
23 that would affect any First Nation interests? So
24 we would take a look at that, and also Great Lakes
25 boundary water, so that ties in with the Great

1 Lakes Water Quality Agreement.

2 For air, we would take a look
3 at air quality issues. During the construction and
4 site preparation phase you'd have emissions from
5 vehicles and dust being generated, we would take a
6 look at those types of issues.

7 Of course, that would go away
8 once they get into the operating phase, largely,
9 and then you're looking at emissions, primarily
10 from the venting of the shaft, and that would --
11 that could include conventional parameters or
12 substances, but it would also -- we would also take
13 a look at the radiological parameters coming out.

14 We wouldn't be able to verify
15 the actual emissions of radiological parameters.
16 Our role is to take the -- verify the emissions
17 that the CNSC would tell us that, yes, this is a
18 valid emission estimate and we would look to see
19 how it disburse through the atmosphere.

20 Which leads us to the next
21 point on trans-boundary issues. So first Nations
22 would be interested in understanding what air
23 emissions would be coming from the facility, and,
24 you know, at what concentration.

25 And our role there is to ensure

1 that the atmospheric dispersion modelling has been
2 conducted appropriately so that the modelled
3 concentrations are valid, and then Health Canada
4 would take a look at whether there are any health
5 concerns based on those concentrations.

6 For greenhouse gases, we take a
7 look at the project emissions. Much of that is
8 going to come from the construction phase and site
9 preparation.

10 Effects of the environment upon
11 the project, I've only listed one but there's two
12 here, actually. Primarily it would be verifying
13 the characterization of climate for long-term,
14 post-closure of modelling scenarios. And the other
15 one I've already mentioned before, it had to do
16 with the sizing of the storm water ponds.

17 In terms of biodiversity, we
18 have -- for the terrestrial environment we'd be
19 looking at the migratory bird species. We'd be
20 looking at the species at risk list of species, and
21 we'd be looking at wetlands, as I've already
22 outlined to some extent already.

23 In terms of wetlands, I think I
24 mentioned it before, but our mandate is weaker
25 since this is non-federal land, but that doesn't

1 mean we won't review it. We will still be looking
2 for potential effects and recommend possible
3 mitigations if there's anything that we feel
4 warrants any concern.

5 For radiological matters, I
6 think I've already outlined that we don't have the
7 expertise to validate the emission estimates but we
8 would be looking at the ecological risk assessments
9 that are based on those radiological releases.

10 We would ensure that the
11 migratory bird species and the SARA list of species
12 are appropriately assessed by the ERA and that
13 would be the extent of that.

14 So on to the final slide here,
15 to summarize, Environment Canada will be conducting
16 a thorough science-based review within our mandate
17 and available expertise. We have a range and scope
18 of issues that is relatively broad.

19 Our mandates are focused on the
20 surface environment, and so that includes the
21 shallow groundwater effects on surface environment,
22 but EC will need to rely upon CNSC and Natural
23 Resources Canada for the review of the migration of
24 contaminants from the repository to the surface.

25 As the review proceeds EC will

1 submit proposed information requests to the JRP and
2 at the end of the EIS review period EC will submit
3 a departmental submission that outlines any
4 outstanding concerns we might have and any
5 recommendations for consideration by the Joint
6 Review Panel.

7 And that concludes my
8 presentation.

9 **THE CHAIRPERSON:** Thank you
10 very much, Mr. Leonardelli. I hope I'm pronouncing
11 your name correctly.

12 **MR. LEONARDELLI:** Close enough.

13 **THE CHAIRPERSON:** Good.

14 Dr. Muecke, do you have some
15 questions?

16 **MEMBER MUECKE:** This EPA, the
17 Great Lakes Bi-national Executive Committee -- my
18 question is, has the current project been put on
19 the agenda of that committee, or is it an intention
20 to put it on the agenda of that committee, and what
21 are the outcomes?

22 **MR. LEONARDELLI:** I'd have to
23 take that and get back to the Panel, as a specific
24 question. I'd have to put that question to various
25 people in the department and find out what the

1 status of that is, so I can do that as an
2 undertaking.

3 **MEMBER MUECKE:** Several times
4 during your presentation I heard the phrase "not on
5 federal land".

6 **MR. LEONARDELLI:** Right.

7 **MEMBER MUECKE:** And that rings
8 a bell in my head, if it's not on federal land,
9 it's on provincial land?

10 **MR. LEONARDELLI:** Correct.

11 **MEMBER MUECKE:** Is there any
12 coordination with the province to fill in the gaps
13 here?

14 **MR. LEONARDELLI:** This has come
15 up in other projects as well, and as CNSC staff
16 have mentioned there's a coordinating team, a
17 federal review team, and so when something like
18 this is identified we would note to them that that
19 -- you know, what our mandate is, and that the
20 Ministry of Natural Resources from Ontario, in this
21 case, would need to be involved in conducting a
22 review for a provincial -- from a provincial
23 perspective.

24 I can't speak to the
25 communication that's been made with the province,

1 but somebody did say that the province was invited.

2 We're -- we haven't gotten into
3 the -- you know -- detailed discussions of
4 terrestrial issues amongst the federal team as such
5 -- as yet, but the official review has just come
6 out, so -- but that -- the need to involve MNR in
7 any provincial wildlife issues or habitat issues
8 would be identified.

9 **THE CHAIRPERSON:** Dr.
10 Archibald?

11 **MEMBER ARCHIBALD:** Thank you
12 very much for clearing up the reduced
13 responsibility portion. I was very intrigued by
14 that also. And thank you, Dr. Muecke, for raising
15 that.

16 But my question has to do with
17 the trans-boundary issue section where First
18 Nations peoples are shown to be primary
19 consideration factors both in air and water
20 contamination potential.

21 They are considered to be
22 primary factors, I guess, but the issue of trans-
23 boundary, now, does that mean trans-boundary with
24 respect to the actual site, the deposition site, or
25 does this mean cross-border to you?

1 I need some explanation as to
2 this is First Nation people only locally within
3 Canada or this is also people external to, meaning
4 in Michigan?

5 Is there some explanation you
6 could provide?

7 **MR. LEONARDELLI:** Sorry, my mic
8 went off.

9 I can partially answer that
10 question.

11 The -- if there's air
12 emissions, significant air emissions that could
13 affect the United States, for example, there's a
14 Canada-U.S. air quality agreement that pertains to
15 that. It sets certain limits and standards and
16 requirements for notifications to the United States
17 that a project is going to exceed certain described
18 limits, and we are obligated to notify them about
19 that project and take -- and consult with them.

20 The -- on water, it would be
21 through the requirements of the Great Lakes Water
22 Quality Agreement; is there anything in the
23 agreement that pertains to this that we'd have an
24 obligation to notify the U.S.

25 So we'd have to understand what

1 emissions are -- could potentially occur from the
2 project into the lake first. We're not at a point
3 to be able to comment on that.

4 But if there were significant
5 issues of contamination entering into the lake, we
6 would have to look at the Great Lakes Water Quality
7 Agreement to understand -- to determine what
8 consultation we need to engage in with the United
9 States.

10 **MEMBER ARCHIBALD:** So in both
11 areas these are elements of your planning networks
12 then?

13 **MR. LEONARDELLI:** If we
14 identify those types of concerns then we know that
15 we have an obligation to go into these higher level
16 agreements and consult.

17 **MEMBER ARCHIBALD:** Okay. Thank
18 you very much.

19 **THE CHAIRPERSON:** So I have a
20 few additional questions.

21 Again, back to the Great Lakes
22 Water Quality Agreement, I note in one of your
23 slides you said you will be eventually releasing an
24 evaluation in light of that agreement.

25 Do you know at this time what

1 your schedule is for releasing your evaluation with
2 respect to trans-boundary issues?

3 **MR. LEONARDELLI:** I couldn't
4 say that, no. No, we don't have -- I can't tell
5 you that by a certain date I'll have the water
6 quality review conducted or the air quality review
7 conducted.

8 And to some extent, I mean, we
9 could -- for example, for water quality as an
10 example, we could be reviewing the documents in
11 terms of effects based on what's predicted by the
12 modelling and all that, but ultimately, we'll have
13 to get some sort of verification from CNSC and
14 NRCan, Natural Resources Canada, that those
15 scenarios are, indeed, valid and we don't need to
16 assess a different scenario.

17 **THE CHAIRPERSON:** Thank you.

18 So if I could repeat back to
19 you just to make sure I'm clear, so Environment
20 Canada would depend upon the judgment of the
21 validity of the predictions from CNSC and NRCan and
22 their respective expertise and then you, in turn,
23 would take that information and then make your
24 evaluation in terms of the trans-boundary issues,
25 or lack of same.

1 **MR. LEONARDELLI:** Correct. We
2 would be able to conduct our review now based on --
3 -

4 **THE CHAIRPERSON:** Right.

5 **MR. LEONARDELLI:** --- what's in
6 the documents, but bearing in mind that we would be
7 waiting for confirmation at some later point that
8 these scenarios were indeed valid and appropriate
9 for -- to assess the model -- the project.

10 **THE CHAIRPERSON:** Thank you.
11 That clarifies that.

12 One more follow-up question on
13 trans-boundary; you mentioned that there are some
14 U.S.-based parties that have expressed some
15 concerns. Are you able to identify the specific
16 parties?

17 **MR. LEONARDELLI:** I'm going --
18 my comment on that is based on things that we've
19 picked up in the media, so news clippings, that
20 kind of thing, our communication staff look for
21 that. And so we noted that there was concern in
22 Michigan.

23 The specific groups, what the
24 specific issues are and that kind of thing, I don't
25 have a detailed assessment or analysis of that.

1 **THE CHAIRPERSON:** Once again, I
2 understand Dr. Thompson has something to offer.

3 **DR. THOMPSON:** Patsy Thompson,
4 for the record.

5 I just wanted to point out that
6 when CNSC staff, with the Canadian Environmental
7 Assessment Agency staff consulted on the draft
8 environmental impact statement guidelines, we held
9 a public information session in the Kincardine
10 area, and we had people from Michigan drive to the
11 open house and participate in that event. And
12 there were also groups who commented on the
13 environmental statement guidelines.

14 And we've dispositioned the
15 comments when we finalized the guidelines, and so
16 the identity of the groups and the individuals who
17 have shown an interest to date are known and
18 they're on the public record. And we will continue
19 to provide information and respond to requests as
20 we move forward.

21 **THE CHAIRPERSON:** Thank you
22 very much.

23 Thank you for your
24 clarification on groundwater, by the way. That was
25 helpful.

1 Just a follow-up, what do you
2 define as "shallow" in terms of shallow
3 groundwater?

4 **MR. LEONARDELLI:** That's a very
5 specific question.

6 I mean, I know that within the
7 documentation, based on a preliminary look through
8 some of the documentation, that they have defined
9 different zones of groundwater, so the shallow,
10 then intermediate and deep, for example.

11 And I'm not sure what their
12 definition is of "shallow", but basically we would
13 be looking at -- to the extent that it would
14 intersect with surface waters.

15 I can give you confidence that
16 we would be looking to that extent. Whether we
17 have the mandate to look at anything deeper than
18 that that would not have an interaction with
19 surface waters, I think that would be a doubtful
20 mandate for us.

21 **THE CHAIRPERSON:** I understand,
22 Dr. Muecke, you have another question?

23 **MEMBER MUECKE:** Coming back to
24 the Great Lakes Bi-National Executive Committee,
25 from what I understand you said is that basically

1 you would trigger it, a process of consultation if
2 you identified concerns on your side about impacts
3 which are trans-boundary.

4 Am I right in saying that?

5 **MR. LEONARDELLI:** You're
6 correct in -- to the extent that there are
7 requirements that are defined within the Great
8 Lakes Water Quality Agreement that say, you know,
9 if a certain -- certain activity may cause
10 potential harm, et cetera, there may be some
11 specific criteria, and then some are more general.

12 So we would take a look, first
13 of all, what the effects could possibly be and then
14 evaluate that against whether we have any
15 obligations to the United States in terms of
16 notifying them.

17 So I can't answer what specific
18 requirements there are, I'm not an expert on the
19 Great Lakes Water Quality Agreement.

20 But if you're looking for that
21 type of clarification, is there something specific,
22 I -- we could take that as an undertaking and
23 inform you -- to inform the Panel in terms of what
24 those obligations might be if there was a concern.

25 **MEMBER MUECKE:** Could I just

1 take -- turn the table around ---

2 **MR. LEONARDELLI:** Sure.

3 **MEMBER MUECKE:** --- because the
4 other member on this committee is the EPA.

5 Can the EPA -- this is
6 hypothetical, obviously -- voice concerns, and if
7 they have concerns how would they be formally
8 addressed?

9 **MR. LEONARDELLI:** I think it's
10 best that I take that as an undertaking.

11 I know we have people who can
12 answer those questions and I'd rather not give you
13 a speculative answer.

14 **MEMBER MUECKE:** Thank you.

15 **MR. LEONARDELLI:** Thank you.

16 **THE CHAIRPERSON:** A couple more
17 questions. This is getting into a few more
18 details.

19 I was wondering does
20 Environment Canada also include consideration of
21 noise impacts on wildlife?

22 **MR. LEONARDELLI:** We have
23 looked at it with respect to migratory birds.
24 There are some studies that indicate that breeding
25 success could be interfered with by certain sound

1 levels because birds can't hear mating calls and
2 that kind of thing.

3 So to the extent that it's an
4 issue for the site we would -- we would examine it
5 for migratory birds.

6 **THE CHAIRPERSON:** And I may
7 have not heard you correctly because I was busy
8 writing and trying to listen at the same time, but
9 this is with respect to air, and you mentioned
10 Environment Canada would review the air impact
11 predictions and also with respect to whether or not
12 you would expect health affects.

13 Did you mean to non-human biota
14 or were you including humans?

15 **MR. LEONARDELLI:** For the non-
16 human biota -- I'll deal with that first.

17 That is the -- those types of
18 issues are looked at in the ecological risk
19 assessment. So what are the various pathways of
20 contaminants to different species, and air is one
21 of the pathways. So that needs to be factored into
22 the ecological risk assessment.

23 In terms of humans, it's Health
24 Canada's responsibility to assess the effect on
25 humans. What we do is we provide them with,

1 basically, a validation of the model to say, yes,
2 it's a valid model, it has appropriately modelled
3 the concentrations at various receptors, okay, and
4 they can then use those concentrations for their
5 assessment of whether there's a health effect or
6 not.

7 So we do the science on the
8 modelling itself, that's our -- that's the science-
9 based review we do.

10 **THE CHAIRPERSON:** So repeat
11 just for -- I'll repeat back what I think I
12 understand.

13 **MR. LEONARDELLI:** Okay.

14 **THE CHAIRPERSON:** So
15 Environment Canada will evaluate the dispersion
16 modelling in terms of validating the exposure of
17 people. In other words, the predicted
18 concentrations in the air as predicted by the
19 modelling ---

20 **MR. LEONARDELLI:** Correct.

21 **THE CHAIRPERSON:** --- and
22 that's where you end and then Health Canada takes
23 up the mantel and looks at -- well, if that's how
24 much would be in the air then this is the risk to
25 human health?

1 **MR. LEONARDELLI:** Yes, that's
2 correct.

3 **THE CHAIRPERSON:** Okay, good.
4 Thank you. So just as a follow-up.

5 Dr. Muecke already asked some
6 of this question but again back to provincial
7 lands, and this is very specifically with respect
8 to wetlands.

9 So I'll just confirm; I
10 understood from you that MNR, Ontario Ministry of
11 Natural Resources, would be a part of the
12 coordination effort. Does that extend to wetlands?

13 **MR. LEONARDELLI:** I'm saying
14 they should be a part of the ---

15 **THE CHAIRPERSON:** They should
16 be?

17 **MR. LEONARDELLI:** Yeah.

18 **THE CHAIRPERSON:** Okay.

19 **MR. LEONARDELLI:** It's their
20 role to -- it's their mandate to review that.

21 Sorry, the last few words?

22 **THE CHAIRMAN:** I just wanted --
23 it's specifically with respect to wetlands because
24 I understand that regarding wetlands, in my
25 experience, especially provincial authorities often

1 have very specific regulations around wetlands and
2 how that was going to be dealt with in this
3 particular case?

4 **MR. LEONARDELLI:** I can't speak
5 for the ones that are right on the site, other than
6 the fact that I know that they're not considered
7 provincially significant wetlands.

8 When you get provincially
9 significant wetland designation then I think that's
10 when you have all these other specific
11 requirements.

12 I'm stretching my memory here
13 but the Baie du Doré I think is a provincially
14 significant wetland. I'd have to -- you'd have to
15 confirm that from the documents.

16 **THE CHAIRPERSON:** During your
17 explanation of the -- Environment Canada's role in
18 reviewing the ecological risk assessment for non-
19 human biota, you used the phrase -- and this is in
20 the context of listed species and the *Migratory*
21 *Birds Act* -- that the risks to those species
22 covered under those two Acts are appropriately
23 handled by the methodology.

24 Can you explain that further,
25 please?

1 **MR. LEONARDELLI:** Sure. I'll
2 make an attempt.

3 Ecological risk assessment is
4 very complex. The individual species -- let's just
5 say there's a specific species, whether it's a
6 migratory bird or a SARA listed species, the
7 modelling that's done, the risk assessment that's
8 done, is usually done surrogate species, meaning
9 other species that represent the ecological niche
10 that can be used as a proxy for other species of
11 the same type that would inhabit the same type of
12 ecological niche.

13 So we're getting very technical
14 here, it's very involved. So they may not list
15 specifically that bird species, but what we'd be
16 looking for is some surrogate species being
17 modelled that is similar to that species. So
18 that's the type of analysis we would do.

19 We would also take a look at
20 some of the environmental parameters that are being
21 fed into the ecological risk assessment to look at
22 -- you know, ensuring that all the contaminant
23 sources have been accounted for, for example.

24 **THE CHAIRPERSON:** Thank you
25 very much. That helps.

1 That was all my questions.

2 Any further questions?

3 Okay, thank you very much.

4 **MR. LEONARDELLI:** You're
5 welcome.

6 **THE CHAIRPERSON:** The next
7 presentation will be by Health Canada.

8 So we'll allow a couple of
9 minutes for Ms. Ma to come to the front.

10 **(SHORT PAUSE)**

11 **THE CHAIRPERSON:** Ms. Ma, the
12 floor is yours.

13

14 **Presentation from**

15 **Health Canada**

16

17 **MS. MA:** Thank you.

18 Good afternoon, Madam Chair and
19 Members of the Joint Review Panel. For the record,
20 my name is Kitty Ma and I'm the Regional
21 Environmental Assessment Coordinator for Ontario
22 Region of Health Canada.

23 We're pleased to be here today
24 upon your request to present to you an overview of
25 Health Canada's roles and responsibility as they

1 relate to the environmental assessment review of
2 this project.

3 And here with me is also
4 Rebecca Stranberg. She is my colleague in Ottawa,
5 also an Environmental Assessment Coordinator as
6 well.

7 **THE CHAIRPERSON:** Ms. Ma, just
8 to remind you, if you could speak quite slowly and
9 perhaps -- you have a very soft voice -- to lean
10 into the mic a bit, I'm having a bit of difficulty
11 hearing you.

12 **MS. MA:** Okay, I'll try.

13 Okay, during my presentation
14 I'd like to briefly outline the following: Health
15 Canada's mandate, Health Canada's role in
16 environmental assessments, the nature of Health
17 Canada's review, Health Canada's areas of
18 expertise, and potential applications of Health
19 Canada's expertise as well.

20 And we'll be happy to answer
21 questions after the presentation.

22 So Health Canada's mandate:
23 Health Canada is the federal department responsible
24 for helping Canadians maintain and improve their
25 health while respecting individual choices and

1 circumstances.

2 Our department strives to
3 prevent and reduce risks to individual health and
4 the overall environment; promote healthier
5 lifestyle; ensure high-quality health services that
6 are efficient and accessible. We also strive to
7 integrate renewal of the health care system with
8 longer-term plans in the areas of prevention,
9 health promotion and protection, and to reduce
10 inequality in Canadian society, and also to provide
11 health -- health information to help Canadians make
12 informed decisions.

13 Now, under section 2 of the
14 *Canadian Environmental Assessment Act* defines an
15 environmental effect with -- with respect to
16 project as any change the project causes in the
17 environment, including, among other things, any
18 effect of the changes in the environment on human
19 health.

20 Health Canada is participating
21 in this project review under the *Canadian*
22 *Environmental Assessment Act* as a federal authority
23 with expert information or knowledge as requested
24 by the responsible authorities.

25 Note that Health Canada's role

1 under subsection 12(3) of the Act is advisory only.
2 The Joint Review Panel determines how the advice
3 provided by Health Canada will be included or used
4 in the assessment of the project and also that the
5 responsible authority makes a determination
6 concerning the significance of the first
7 environmental effects.

8 When reviewing an environmental
9 assessment, Health Canada will provide advice
10 regarding the possible impacts on human health that
11 may result from the project, the scientific
12 validity and adequacy of the assessment of impacts
13 of the project on human health.

14 Advice will also be provided
15 regarding the use of appropriate methods and
16 rationale for the conclusion made concerning human
17 health, the measures to mitigate human health
18 impacts where possible, and the development and
19 implementation of follow-up monitoring.

20 In the context of subsection
21 12(3) of the Act, Health Canada currently has
22 expertise in the following biophysical area related
23 to human health and that includes air quality
24 effects, contamination of country food which may be
25 fish, wild game, garden produce, berries and et

1 cetera, drinking and recreational water quality,
2 radiological effects, electric and magnetic fields
3 effects, noise effects, human health risk
4 assessment and risk management, federal air, water,
5 and soil quality guidelines are the standard use in
6 human health risk assessments, toxicology including
7 multimedia like air, water and soil, and also First
8 Nation health and also on contaminated sites.

9 Now, the next few couple of
10 slides we'll go over some -- briefly, some of the
11 potential applications of Health Canada's
12 expertise.

13 So we can start with
14 radiological effects; Health Canada's review
15 includes providing advice regarding human health
16 effects of exposure to ionizing radiation,
17 environmental modelling, and monitoring of the
18 dispersion of radioactive isotopes in the air,
19 water, and country food, health and safety of
20 nuclear energy workers and the public, and
21 radiological accidents and malfunctions.

22 For air quality effects, Health
23 Canada's EA review includes providing advice
24 regarding predicted air pollutant concentrations
25 data at locations where human receptors may be

1 affected by changes from the baseline air quality
2 and information concerning acute and chronic human
3 health effects of exposure to air pollutants.

4 For contamination of country
5 food, our review includes providing advice
6 regarding the information on food harvested by
7 hunting, trapping, fishing or small-scale farming.
8 Produce grown in vegetable gardens and orchards are
9 collected from naturally occurring sources, like
10 wild berries and medicinal plants.

11 We'll also provide advice
12 regarding data on increases in contaminant levels
13 in the tissues of country food and also potential
14 toxicological human health effects of consuming
15 contaminated country food.

16 Moving on to water quality;
17 Health Canada's EA review includes providing advice
18 regarding the chemical and microbiological
19 contaminants that may be present in drinking and
20 recreational water, impacts on sources of drinking
21 water located downstream from a project which
22 include groundwater wells, all service water that
23 will be processed through a drinking water facility
24 -- treatment facility.

25 Under noise, Health Canada

1 review includes providing advice regarding human
2 health end points used to characterize noise
3 impacts like speech intelligibility and sleep
4 disturbance.

5 Also, we'll provide advice
6 regarding information on existing and predicted
7 future daytime and night-time sound levels at
8 location where humans are present and the
9 characteristic of noise, including impulsive atonal
10 noise.

11 And lastly, we have human
12 health risk assessment and under this topic we'll
13 provide advice regarding human health impacts from
14 exposure to contaminants of concern through
15 environmental media like air, water, soil, dust,
16 and country food.

17 We'll also be providing advice
18 regarding the scientific validity of human health
19 risk assessment and a conclusion; the mode of
20 action of contaminants of potential concern, and
21 also the federal air, water, and soil quality
22 guidelines and standard that may apply.

23 My department looks forward to
24 working with the Joint Review Panel in the future
25 for technical reviews and hearings. Thank you very

1 much and we can answer questions. Thanks.

2 **THE CHAIRPERSON:** Thank you
3 very much, Ms. Ma.

4 Dr. Archibald?

5 **MEMBER ARCHIBALD:** I only have
6 one fairly simple question. On the basis of your
7 assessment focus basically on changes of the
8 environment affecting human health; does this also
9 apply to occupational health exposure or is this
10 only residential exposure that you are considering?

11 And I'm thinking primarily the
12 exposures to possibly dust, gas, fumes, noise
13 exposure in a working environment of the
14 repository.

15 **MS. MA:** Right. In only
16 certain limited situations where Health Canada
17 would have expertise commenting on occupational
18 health and safety aspects and we have that for
19 nuclear workers, as covered by the *Nuclear Safety*
20 *and Control Act*. So most of our review will not be
21 occupational related, it will be more residential
22 related.

23 **MEMBER ARCHIBALD:** So this
24 essentially means -- and probably not in your area
25 of expertise -- that most of the provisions or the

1 regulatory control will be in the hands of
2 provincial agencies; particularly, the Ministry of
3 Labour or their -- their associated elements?

4 **MS. MA:** Yes, that is correct.

5 **MEMBER ARCHIBALD:** All right,
6 thank you.

7 **THE CHAIRPERSON:** Dr. Muecke?

8 **MEMBER MUECKE:** Ms. Ma, when we
9 look at radon and permissible limits and health
10 risks over the recent future, limits have
11 constantly been ratcheted downwards.

12 And so one of -- one of my
13 concerns is that we are evaluating a project which
14 has a lifetime of 300 years and I've seen the radon
15 limits go down in the last 10 years.

16 Will you be able to advise us
17 how -- I have to step back.

18 Basically what I'm saying is
19 that how radiological risk is assessed and
20 perceived has changed with time and since we have
21 to look into the future, will you be able to
22 provide us with guidance as how you see those
23 limits change?

24 I'm not saying over the next
25 300 years, but, you know, the directions have

1 changed or have they levelled off? Is there some
2 limiting level at which we no longer have to be
3 concerned? Can we look for guidance along those
4 lines from you?

5 **MS. MA:** Kitty Ma, for the
6 record.

7 Thank you for that question.
8 I'll definitely have to get back to you on this
9 one. We will talk to our Radiological Department
10 and we'll get you an answer for that.

11 Thank you.

12 **MEMBER MUECKE:** Thank you.

13 **THE CHAIRPERSON:** I understand
14 Dr. Thompson may be able to help us.

15 **DR. THOMPSON:** Patsy Thompson,
16 for the record.

17 In terms of the regulatory
18 oversight for radon or other occupational radiation
19 exposures, the way the legislation is drafted is
20 that Health Canada and the provinces have
21 regulatory obligations in terms of residential
22 radon, and the CNSC has responsibilities in terms
23 of exposure of workers in relation to DGR or other
24 nuclear facilities. And we would also assess the
25 risk to members of the public from the radon, for

1 example, in relation to DGR.

2 Both the CNSC staff, as well as
3 staff of Health Canada have been involved in the
4 review of recent documents, for example, from the
5 World Health Organization or the International
6 Commission on Radiation Protection where they've
7 reassessed the risks from radon exposures, taking
8 into consideration epidemiological studies done of
9 worker populations, as well as residential
10 exposures.

11 And that information is in the
12 process of being considered for regulatory
13 significance, and so the way the regulatory
14 framework would work is that we do the assessment
15 using the best science available today and for
16 projects like the DGR where we need to ensure long-
17 term safety, we would require that there's enough
18 barriers in place and enough consideration of ALARA
19 requirements to ensure that the exposures would be
20 extremely low under a lot of different scenarios
21 and that would take into consideration the changes
22 in science.

23 The CNSC also has, as we
24 explained this morning, licensing in different
25 phases and we do compliance assessments. And any

1 change in science that would change the licensing
2 basis for this facility would be brought to the
3 Commission at an appropriate licence renewal or we
4 would take regulatory action under the compliance
5 program.

6 So the regulatory framework of
7 the CNSC takes into consideration potential changes
8 in science, and that advice would be brought to the
9 Commission at the appropriate time.

10 **THE CHAIRPERSON:** Thank you
11 very much.

12 I have a few questions as well,
13 Ms. Ma.

14 The first question is, does
15 Health Canada -- the Health Canada review include
16 particular attention to sensitive or vulnerable
17 sub-populations or individuals, such as people who
18 have chronic disease, immune suppression or for
19 example, the very young or the elderly?

20 **MS. MA:** I'll try to partly
21 answer that question.

22 I believe in the Human Health
23 Risk Assessment, sensitive receptors are identified
24 or should be identified, and we will take a look at
25 those receptors. Further on, I can get back to you

1 on how we look at those receptors in the
2 assessments.

3 **THE CHAIRPERSON:** Thank you.

4 Another question; there appears
5 to be some overlap between what Health Canada's
6 expertise is in reviewing modelling, for example,
7 air dispersion modelling, and what we just heard
8 from Environment Canada.

9 So could you help me with my
10 confusion there, and perhaps explain where the
11 cutoff is?

12 **MS. MA:** Health Canada actually
13 relies on Environment Canada to validate if any
14 modelling or dispersion modelling are valid, and
15 then we would take the results of the modelling,
16 the contaminants, the levels, and then we would use
17 it to review the environmental assessment.

18 **THE CHAIRPERSON:** Thank you,
19 that helps.

20 However, it did seem that
21 Health Canada in particular are the federal
22 authority that would comment on, for example, the
23 selection of country food items, you know, the
24 intake rate of those sorts of items. And the
25 reason I'm asking that is, therefore, are you the

1 right people to ask in terms of how you validate
2 your information on the country foods and
3 coordinate with our people who are consulting with
4 Aboriginal groups to validate the assumptions
5 you're making in your review regarding the use of
6 country foods, subsistence fishery, et cetera?

7 **MS. MA:** For country food,
8 especially related to First Nation, we do encourage
9 the Proponent to use -- or to incorporate
10 traditional and local knowledge for exposure
11 assumptions and also what kind of food they
12 collect. So we highly recommend that.

13 **THE CHAIRPERSON:** So as a
14 follow-up, in your review of what OPG has done in
15 their documentation, you would review it so that it
16 is to your satisfaction that they have adequately
17 characterized the consumption and identification of
18 country foods?

19 **MS. MA:** Yes, I believe we will
20 do that. Yes.

21 **THE CHAIRPERSON:** That is
22 correct? All right. Thank you.

23 You will have noticed that in
24 Environment Canada's presentation they help the
25 Panel by identifying first their responsibilities

1 or statutes, their regulations, and then they very
2 specifically identified what was relevant.

3 Have Health Canada -- have you
4 been able to complete an initial assessment of the
5 relevance under your jurisdiction?

6 **MS. MA:** We just started our
7 review, so we will definitely let you know if any -
8 - all of our guidelines or guidance documents would
9 apply to this project.

10 **THE CHAIRPERSON:** Thank you
11 very much.

12 **MS. MA:** Thank you.

13 **THE CHAIRPERSON:** Do my fellow
14 Panel Members have any follow-up questions?

15 Thank you.

16 We're running nicely ahead of
17 time here, so I think my goal is we'll proceed
18 right into the NRCan presentation and follow that
19 with questions, and I'm assuming since it is now
20 2:25 that we should be able to adjourn by
21 approximately 3:00 p.m.

22 So for those of you who are
23 joining us by web -- the web, just pay attention to
24 that. I don't think we're going to need an
25 additional afternoon break.

1 So we'll just give NRCan a few
2 minutes to come to the front and get their
3 presentation out.

4 **(SHORT PAUSE/COURTE PAUSE)**

5

6 **Presentation from**
7 **Natural Resources Canada**

8

9 **MS. CAVALLARO:** Hi there.

10 First, I'd like to take the opportunity to thank
11 the Panel for allowing us to make this presentation
12 at the orientation session.

13 My name is Kate Cavallaro; I'm
14 the Acting Team Leader for the Environmental
15 Assessment Division at Natural Resources Canada.

16 For today's presentation, I
17 also have a representative from the Uranium
18 Radioactive Waste Division, Kathleen Hollington, as
19 well as Dr. Bernard Vigneault, Dr. Alexandre
20 Desbarats and Dr. Aruna Dixit from our Geological
21 Survey of Canada with me to answer any questions
22 that you might have in relation to our
23 presentation.

24 Today's presentation is to
25 provide information on Natural Resources Canada's

1 mandate, interests and expertise in relation to the
2 Joint Review Panel for the Deep Geologic Repository
3 project.

4 Very broadly, Natural Resources
5 Canada's mandate is to enhance the responsible
6 development and use of Canada's natural resources
7 and the competitiveness of Canada's natural
8 resource products, develop policies and programs
9 that enhance the contribution of the natural
10 resources sector to the economy and improve the
11 quality of life for all Canadians, and lead science
12 and technology in the fields of earth sciences,
13 energy, forests and minerals and metals.

14 Within NRCan, primarily two
15 sectors are involved with the environmental
16 assessment for the Deep Geologic Repository
17 project; the energy sector and the earth sciences
18 sector.

19 So I'm going to start by giving
20 you some information on our energy sector and our
21 earth sciences sector.

22 Within the energy sector,
23 Natural Resources Canada is responsible for
24 developing and implementing uranium, nuclear energy
25 and radioactive waste management policies.

1 Canada's 1996 radioactive waste policy framework is
2 the over-arching policy for radioactive waste
3 management.

4 Under the framework waste
5 owners are responsible for funding and managing
6 their waste and for developing and implementing
7 long-term solutions.

8 The federal government role is
9 to ensure long-term waste management is carried out
10 in a safe, environmentally sound, comprehensive,
11 cost-effective manner, and to develop policy,
12 regulate and oversee waste owners' compliance with
13 legal, financial and operational requirements.

14 Additionally, the framework
15 recognizes that arrangements may be different for
16 various types of radioactive waste, such as nuclear
17 fuel waste, low and intermediate level waste, and
18 uranium mine and mill tailings.

19 In the case of nuclear fuel
20 waste, the Minister of Natural Resources is
21 responsible for ensuring waste owners and the
22 Nuclear Waste Management Organization comply with
23 the requirements of the 2002 *Nuclear Fuel Waste*
24 *Act*.

25 Lastly, NRCAN has the

1 responsibility for overseeing and funding
2 radioactive waste management initiatives pertaining
3 to historic and legacy wastes, which include the
4 Port Hope Area Initiative and the Nuclear Legacy
5 Liabilities Program, respectively.

6 Within NRCan's Earth Sciences
7 Sector, the Earth Sciences Sector is the Government
8 of Canada's principal earth sciences agency
9 providing Canadians with reliable geosciences and
10 geomatic knowledge. It plays a pivotal role in the
11 collection and dissemination of earth sciences'
12 information of major importance to Canada's energy,
13 mining and forestry sectors, among others.

14 Also, the earth sciences
15 sector's research and environmental geosciences
16 aims to understand and mitigate the risks of
17 resource development on the environment, to build a
18 social license and to inform regulatory decisions.

19 The following slides will
20 present an overview of NRCan's earth sciences'
21 expertise in relation to the DGR project and, if
22 you have any questions, feel free to ask them
23 during the presentation or at the end, whatever
24 you're most comfortable with.

25 So NRCan's involvement with

1 DGR. The role of NRCan's Geological Survey of
2 Canada is to undertake the scientific examination
3 and survey of geological structure and mineralogy
4 of Canada.

5 In this regard, NRCan, through
6 the Geological Survey of Canada, has provided
7 expertise to inform the development of the general
8 deep geologic repository concept since its
9 inception.

10 NRCan has been participating in
11 the review of information and technical reports
12 related to DGR since 2007. We have provided
13 expertise in relation to the geological context, in
14 areas such as bedrock geology, hydrogeology, and
15 hydrogeochemistry, glacial cycles, and seismic
16 hazards.

17 From a geological context, the
18 scope of NRCan's review focuses on the regional
19 stratigraphy and sedimentology of sandstone and
20 shale bedrock, including hydrocarbon potential,
21 fluid migration, faults and fractures, and cap rock
22 seal.

23 Understanding the site geology
24 is an integral part of the project design, as the
25 deep geological structure of the site is

1 fundamental for the proposed repository, as it will
2 help minimize the adverse environmental effects of
3 the projects.

4 Understanding the hydrocarbon
5 potential will also inform cumulative environmental
6 effects and long-term management of the site.

7 From a hydrogeological
8 perspective, the scope of NRCan's review includes
9 groundwater flow, groundwater chemistry and solute
10 transport.

11 Understanding the fate of
12 radionuclides migrating beyond the boundaries of
13 the DGR site, in the intermediate and deep
14 groundwater systems, is required to assess the
15 adverse environmental effects of the project on
16 water quality.

17 From a geochemical perspective,
18 NRCan will focus on the interpretation of the age
19 of fracture systems at the site, including
20 geochemical evidence for the subglacial recharge,
21 the origin of brines, the depth of penetration of
22 fresh groundwater, likelihood of connection with
23 the surface environment.

24 Understanding the fracture
25 systems, including the age and timing of the

1 fractures at the study site, will inform whether
2 the effects of the project on the environment have
3 been adequately characterized.

4 NRCan is also providing
5 expertise in relation to glacial cycles, as
6 understanding glacial cycles and long-term climate
7 change processes will help inform whether the
8 effects of the geology on the project have been
9 adequately characterized, especially for the
10 evaluation of the post-closure safety assessment.

11 Lastly, NRCan is providing
12 expertise in relation to seismic hazards, including
13 earthquake shaking, earthquake-triggered events
14 such as tsunamis, regional stress strain changes in
15 faulting.

16 Understanding the environment
17 from a seismic perspective will inform whether the
18 effects of the environment, specifically seismic
19 hazards on the project, are adequately
20 characterized and considered in the site design.

21 Lastly, I just want to make it
22 clear that NRCan is not a regulator for this
23 project, and the department has no decision-making
24 role in the environmental assessment. Under the
25 *Canadian Environmental Assessment Act* we are

1 considered a federal authority and we're providing
2 expert information and knowledge.

3 NRCan is available to provide a
4 radioactive waste policy perspective on the
5 proposal and will continue to provide expertise on
6 the geological history and geological processes in
7 relation to the project.

8 And as requested by the Joint
9 Review Panel, we will participate in the public
10 review and comment period for the EIS and licence
11 documents, and provide comments on these documents
12 to the Panel as early as practicable in the comment
13 period.

14 Thank you again for this
15 opportunity, and feel free to ask your questions.

16 **THE CHAIRPERSON:** Thank you
17 very much.

18 Dr. Muecke, do you have some
19 questions?

20 **MEMBER MUECKE:** If you go on
21 Slide 2, there's a very puzzling statement, which,
22 if I take it literally, I think would put half the
23 people in this building out of a job.

24 It states that NRCan energy
25 sector is responsible for policy and oversight of

1 programs concerning historic and legacy nuclear
2 wastes.

3 Could you embellish upon that
4 because it -- at least my understanding is that
5 that responsibility falls to the Nuclear Safety
6 Commission.

7 **MS. CAVALLARO:** I'm just going
8 to direct this question to Kathleen Holington who
9 is with our uranium waste -- Radioactive Waste
10 Division.

11 **MS. HOLINGTON:** Kathleen
12 Holington here, for the record.

13 Maybe I'll, first of all, go by
14 describing what we mean by "historic."

15 Oh, sorry -- can you hear me
16 now? Yes.

17 An historic waste, we define it
18 as waste that is -- was created in the past but no
19 longer is considered being managed appropriately,
20 and for which the government has taken that
21 responsibility.

22 So in the case of historic and
23 legacy waste, it is the responsibility of the
24 Government of Canada.

25 NRCan manages these two

1 programs, the Port Hope Area Initiative and the
2 Nuclear Legacy Liabilities Program, which is waste
3 -- legacy waste, that was created during the Cold
4 War legacy, and this -- it's predominantly at Chalk
5 River, and Port Hope, there's -- it's predominantly
6 in Port Hope, but there's also a Port Granby
7 Program.

8 So NRCan is the lead. NRCan
9 has the funding from the Government of Canada to
10 manage these two programs, and the implementing
11 agency for historic and legacy waste is the Atomic
12 Energy of Canada Limited.

13 **THE CHAIRPERSON:** Thank you.

14 Dr. Thompson has something to
15 add, I believe?

16 **DR. THOMPSON:** Patsy Thompson,
17 for the record.

18 I think the issues where the
19 policy responsibility and the funding
20 responsibility resides, and where the CNSC
21 responsibilities, in terms of licensing, and so it
22 was mentioned NRCan has responsibility in terms of
23 policy and funding for certain sites, whereas when
24 -- for example, the Port Hope Area Initiative
25 example that was just provided, these sites have

1 undergone environmental assessment by the CNSC and
2 NRCan, and now have a licence from the CNSC, moving
3 forward.

4 And it would be the same for
5 other sites in Canada where once sites have been
6 identified and require a licence, then the
7 responsibility is, for the project, with NRCan or
8 their delegates and we do the licensing.

9 **MEMBER MUECKE:** Thanks very
10 much. That makes it clear in my mind.

11 I have one more question. The
12 USGIS has recently developed -- I mean, that's in
13 2012 -- a new seismic risk model for the eastern
14 United States, and that risk model shows much
15 greater risks in many locations than were
16 previously indicated.

17 So my question is, is the GSC
18 planning to -- a similar re-evaluation? And if
19 that re-evaluation is taking place, when can one
20 expect the results, and would they be available for
21 this review?

22 **MS. CAVALLARO:** Sorry; I'm just
23 going to pass that to Bernard Vigneault for a
24 response. He's with RGSC.

25 **MR. VIGNEAULT:** So

1 unfortunately, our seismic hazard experts are not
2 with us today, but I can certainly say that all our
3 research activities are done in direct
4 collaboration with the USGS.

5 So we can confirm that at a
6 later stage, but I'm quite confident that any new
7 findings from the USGS would also be applied when
8 we'll provide comments on the seismic hazard later
9 on in the process.

10 **MEMBER MUECKE:** Thank you.

11 **THE CHAIRPERSON:** Dr.
12 Archibald?

13 **MEMBER ARCHIBALD:** Thank you;
14 just two short questions.

15 On page 6, or your slide number
16 6, the last bullet -- I'm just being pedantic as a
17 university professor. And you've stated that:
18 "Understanding hydrocarbon potential will also
19 inform assessment and management."

20 How can understanding inform?
21 Do you possibly mean assist or educate? The word
22 "inform" is used over several slides and probably
23 out of context, and so would you have an
24 explanation for the use of the word in this
25 context?

1 **MS. CAVALLARO:** This is Kate
2 Cavallaro, for the record.

3 When we use the word "inform",
4 our expertise is provided to the Panel and to other
5 decision makers with regard to the project so we're
6 specifically speaking to providing information on -
7 - in relation to those topics, not inform
8 processes.

9 Does that provide you with the
10 clarification?

11 **MEMBER ARCHIBALD:** The words
12 providing information are exactly what I was
13 looking for.

14 **MS. CAVALLARO:** Okay.

15 **MEMBER ARCHIBALD:** Thank you.

16 And I believe we've had some
17 good explanation about the regulatory
18 responsibilities of NRCAN for this project. It is
19 now in the purview of the CNSC and, essentially,
20 you are an information-providing entity, as are
21 most of the other departments that we have been
22 receiving information from.

23 My specific question is, does
24 NRCAN provide any information relating to
25 structural design or planning of the DGR in any

1 way, shape or form, or is this controlled in a
2 provincial arena?

3 **MS. CAVALLARO:** That's a bit of
4 a complicated question. Obviously, we're -- the
5 expertise that we're providing at this point is to
6 -- is for the purposes of the environmental
7 assessment, and so not to my knowledge would we be
8 providing specific expertise to the province on on-
9 site design.

10 However, the expertise that we
11 have and that we do provide through the EA is
12 available for anyone who would like to see it, so -
13 --

14 **MEMBER ARCHIBALD:** Like where
15 I'm coming from is that the environmental
16 assessment is also the assessment of the structural
17 stability of the eventual repository itself having
18 to deal with the geosciences and information gained
19 from sub-surface exploration and other planning
20 features. And I was just wondering if there is any
21 federally regulated -- sorry, any federal entity
22 that would be tasked with doing a review of this
23 other than CNSC.

24 Would, in fact, NRCan be
25 capable of providing information to CNSC to make

1 their decision for their licensing process?

2 **MS. CAVALLARO:** So it's Kate
3 Cavallaro, for the record.

4 We don't do engineering design
5 specifically, and we'd like to make that clear.
6 And while we do have expertise in geosciences, and
7 I don't know that it -- if we were requested to
8 provide expertise, we would certainly endeavour to
9 see if that expertise is available. But at this
10 time, it was not within the list of expertise that
11 we were providing to this project.

12 **MEMBER ARCHIBALD:** All right.
13 Thank you very much.

14 **THE CHAIRPERSON:** So I have
15 also just a few questions.

16 Back on your slide 3 where you
17 explain that NRCan was the lead organization for
18 the development of the radioactive waste policy
19 framework, can you help us out a little more and
20 explain the relevance of the DGR or how the DGR
21 fits within that policy framework?

22 Just paint me a bit more of a
23 picture of how the two are related.

24 **MS. HOLLINGTON:** Kathleen
25 Hollington, for the record. Thank you very much

1 for the question.

2 Maybe I'll explain to you that
3 we see the proposal addresses the Government of
4 Canada's radioactive waste policy framework.

5 First of all, it's the waste
6 owner that is taking action on implementing a safe,
7 secure and long-term solution for its own
8 radioactive waste management. So it's the waste
9 owner that's taking that responsibility, and that's
10 in keeping with the framework.

11 And also, another requirement
12 that's in the framework is that the approach must
13 be a comprehensive solution and it must be socially
14 acceptable, economically and environmentally sound,
15 and that protects the health and citizens of the
16 environment. And I'm sure as part of your work
17 that that is what you will be, you know, looking
18 at.

19 So these are two key elements
20 that address the policy framework.

21 **THE CHAIRPERSON:** Thank you
22 very much. That was very helpful.

23 If we could go back to the
24 slide on page 6 that Dr. Archibald was just
25 referring to, again, that final bullet. Just

1 indulge me for a bit more on, can you explain that
2 bullet a bit more, please?

3 I'm not quite sure I understand
4 what "understanding hydrocarbon potential" means
5 and how that relates to the cumulative effects
6 assessment.

7 **MR. DESBARATS:** Alexander
8 Desbarats, research scientist with NRCan. I think
9 I can try and answer that for you.

10 Hydrocarbon potential is
11 important or is significant in this context because
12 of the potential for human intrusion scenarios
13 related to exploration down the road, so that's
14 where it's coming from. So they want to,
15 essentially, alienate or -- an area where
16 hydrocarbon potential is not prospective, so you
17 want to choose a repository site on that basis.

18 **THE CHAIRPERSON:** Would it be
19 limited to hydrocarbon potential or other minerals
20 as well?

21 **MR. DESBARATS:** That's a good
22 question.

23 Other minerals, potentially
24 salt, but again, at the site the Salina formation
25 which is mined for salt down near Windsor is not

1 present. The salt beds are not present at the
2 Bruce site.

3 Another potential for human
4 intrusion would relate to, for example, CO2
5 sequestration which is being looked at in southern
6 Ontario.

7 So there again, we would be
8 interested, for example, in the potential of
9 certain geological layers to be used as storage for
10 CO2.

11 **THE CHAIRPERSON:** I have
12 another question, and this was -- is with respect
13 to the expertise within NRCan.

14 Is NRCan the agency that would
15 provide expertise in bio-geochemical processes, for
16 example, microbial processes that would have the
17 potential to impact either release or transport of
18 radionuclides?

19 **MR. VIGNEAULT:** So for the
20 record, Bernard Vigneault.

21 There is some expertise on the
22 bio-geochemistry within NRCan including the
23 geological survey of Canada, also the minerals and
24 metals sectors. To date, they haven't been
25 involved in the discussion with CNSC but if there's

1 a request we could look at the availability of such
2 expertise.

3 **THE CHAIRPERSON:** Thank you
4 very much.

5 I think you can anticipate such
6 a request.

7 I have an all-encompassing
8 question which is addressed to the group here.
9 There's one big area of expertise that I haven't
10 heard very much specific comment on from any of the
11 agencies, and that's expertise in commenting on the
12 socioeconomic impact assessment, which perhaps,
13 Patsy, you could help us with.

14 Which particular expertise
15 within which departments would we rely on?

16 **DR. THOMPSON:** Patsy Thompson,
17 for the record.

18 Currently the CNSC does not
19 have the expertise onboard because it's not part of
20 our bread and butter I would say. But for the
21 purposes of this assessment we will do what we've
22 done for other assessments, is to contract a firm
23 with that expertise.

24 And so we have done that and
25 the review is started.

1 **THE CHAIRPERSON:** Can we know
2 the name of the firm that has been contracted for
3 that review?

4 **DR. THOMPSON:** I'll stand
5 corrected if I'm wrong; I believe it's IBI.

6 **THE CHAIRPERSON:** Thank you
7 very much.

8 I understand there's a hand at
9 the back.

10 That is correct? Yes. Thank
11 you very much.

12 Do either of my fellow Panel
13 Members have any further questions?

14 **MEMBER ARCHIBALD:** Not without
15 being much more specific.

16 Thank you very much.

17 **THE CHAIRPERSON:** Well, this
18 concludes therefore today's public orientation
19 session.

20 Thank you very much to the
21 presenters and to those who participated here in
22 person or by webcast.

23 I would remind everyone that if
24 you do have a question regarding the information
25 today -- presented today, you are encouraged to

1 submit your written questions to the Panel's Co-
2 Managers.

3 And with that I will adjourn
4 this orientation session.

5 Thank you very much.

6 --- Upon adjourning at 2:55 p.m./L'audience est
7 ajournée à 14h55

8

9

10

11

12