

**Canadian Nuclear
Safety Commission**

**Commission canadienne de
sûreté nucléaire**

Public hearing

Audience publique

Canadian Light Source Incorporated:
Application from Canadian Light Source
Incorporated for an amendment to its
Particle Accelerator Operating Licence

**Centre canadien de rayonnement
synchrotron incorporé :** Demande
du Centre canadien de rayonnement
synchrotron incorporé visant une
modification à son permis
d'exploitation d'un accélérateur de
particules linéaire

June 8th, 2011

Le 8 juin 2011

Public Hearing Room
14th floor
280 Slater Street
Ottawa, Ontario

Salle d'audiences publiques
14e étage
280, rue Slater
Ottawa (Ontario)

Commission Members present

Commissaires présents

Mr. Michael Binder
Dr. Moyra McDill
Mr. Dan Tolgyesi
Dr. Ronald Barriault
Mr. André Harvey

M. Michael Binder
Mme Moyra McDill
M. Dan Tolgyesi
M. Ronald Barriault
M. André Harvey

Secretary:

Secrétaire :

Mr. Marc Leblanc

M. Marc Leblanc

Senior Counsel :

Conseillère principale:

Ms. Lisa Thiele

Mme Lisa Thiele

1 **Canadian Light**
2 **Source Incorporated:**
3 **Application from Canadian Light**
4 **Source Incorporated for an**
5 **Amendment to its Particle**
6 **Accelerator Operating Licence**
7
8 **11-H5.1 / 11-H5.1A / 11-15.1B**
9 **Canadian Light Source Incorporated**
10 **CNSC Staff**

11

12

13

14

15

16

THE CHAIRMAN: Okay. Good afternoon. And let's now proceed to the next item of the agenda for today in its application from Canadian Light Source Inc. for an amendment to its particle accelerator operating license. Marc.

17

18

19

20

21

MR. LEBLANC: Yes. This is a one day public hearing. The notice of hearing 2011/8/04 was published on April 7th of this year and a revised notice was published on May 4th to provide more details on the nature of the application.

22

23

24

25

Submissions from Canadian Light Source and CNSC staff were due on April 8, 2011. I also know that supplementary information had been filed by -- well, in fact one supplementary information has been filed by

1 Canadian Light Source -- oh, as well as staff since the
2 first publication of the agenda.

3 The public was invited to participate
4 either by oral presentation or written submission. May
5 9th was the deadline set. And the Commissioner received
6 no requests for intervention.

7 June 1st, 2011 was the deadline for filing
8 of supplementary information. And I've already noted that
9 supplementary information have been filed by CNSC staff
10 and Canadian Light Source.

11 **THE CHAIRMAN:** Okay. So let's start by
12 calling on the presentation from CLS as outlined in CMD
13 H5.1, 5.1A and 5.1B.

14 And I understand Dr. Hormes, you're making
15 the presentation, the floor is yours.

16 **MR. HORMES:** For the record Josef Hormes.

17 Bonjour Madame et Monsieur.

18 Good afternoon, Mr. President, members of the Commission,
19 staff members of the Canadian Nuclear Safety Commission
20 colleagues.

21 Let me start my presentation by introducing
22 my colleagues that are here to help me answer difficult
23 questions.

24 First of all there's Dr. Mark de Jong, the
25 Director Of Accelerators who will give part of the

1 presentation.

2 It's Dr. Mo Benmerrouche our Manager for
3 Health Safety And Environment. It's Dr. Tom Ellis our
4 Director of Research, and it's Mr. Aziz Ahamd our manager
5 health safety -- oh, sorry, our manager for quality
6 assurance.

7 Before coming to the Isotope project
8 presentation that is directly connected to one of the two
9 amendments that we are asking for and that will be
10 presented by Dr. Mark de Jong who was in charge of that
11 project.

12 I would like to highlight in my
13 presentation three issues. One is the safety culture,
14 safety record of the Canadian Light Source. Our QA
15 program that has been established over the last two years
16 and I would end my presentation with some remarks about
17 the potential radiation exposure of CLSI nuclear energy
18 workers.

19 My first statement when I meet people from
20 the general public is the Canadian Light Source is a safe
21 facility with a strong safety record.

22 Just as a reminder the Canadian Light
23 Source is not a nuclear power plant though we are
24 regulated as a Class 1 nuclear facility by the same
25 regulation as power plants.

1 We are a safe facility because in our case
2 it doesn't matter who is switching off the power. If it
3 is the operator or if it is an earthquake, it doesn't
4 matter.

5 As soon as the power is switched off we are
6 a safe facility. There is no prompt radiation, there's
7 nothing left, we don't need any cooling; if we refer to
8 what happened in Japan.

9 In this case we are a safe facility because
10 it really doesn't matter who is switching off the power.
11 It means no requirements for cooling or so when the
12 machine's not operational.

13 It's also important to mention that we are
14 an open facility in the sense that we are a user research
15 facility.

16 The Canadian Light Source was built and is
17 operated as user facility for researches from a academia
18 industry and government, and they are the people that
19 actually using the light source and doing most of the
20 science at the light source and just a number, we have
21 more than 1,000 user visits last year, people coming to
22 the facility.

23 Okay. This slide should highlight our
24 safety performance. The facility has now been in routine
25 operation for nearly seven years and during this time we

1 had zero major injuries as defined by the Canadian OHS
2 Regulation and we had also zero incidents on radiation
3 dosimeters exceeding the Canadian Nuclear Safety
4 Commission and your dose limits for the general public.

5 It's important to emphasize that this zero
6 is not just for our users and visitors, that zero is also
7 true for all our employees, also for the nuclear energy
8 workers that are working there.

9 I think it's a remarkable safety
10 performance and I would like to congratulate Dr.
11 Benmerrouche and his team for their hard work to implement
12 that safety program.

13 I strongly believe that this is not just
14 good luck. It's the consequence of hard work, a well
15 developed safety culture, and I want to emphasize that
16 this culture is continuously nurtured by the staff members
17 of the Canadian Nuclear Safety Commission in their
18 interaction with our facility.

19 As I already mentioned we are requesting to
20 have our Class 1B operation license amended by two issues:
21 One, to incorporate a new QA manual, and the second point
22 is to modify the 250 MeV access control interlock system
23 which would allow us to use an area of the old
24 Saskatchewan accelerator left for medical isotope
25 production and medical isotope project that will be

1 introduced by Dr. de Jong later on.

2 This slide and the next two ones
3 highlighting the QA program that we implemented and that
4 was strengthened significantly by hiring Aziz Ahamd as a
5 full-time QA manager for the CLS.

6 In close collaboration with all directors
7 and managers Aziz developed a new QA manual. The previous
8 manual, we had always a QA manual, but the previous manual
9 was optimized for the construction and the commissioning
10 phase of the light source. It's a slightly different way
11 of handling the machine.

12 Now we are in our second phase and that is
13 what I call "user operation". And therefore we had to
14 change and modify a few things in that QA manual. And in
15 addition to that QA manual there were also other issues of
16 the QA program.

17 For example we implemented a management
18 review process. We implemented a taproot investigation
19 tool for investigating events. We improved and
20 reorganized our internal audit program, and we implemented
21 and improved nonconformance process, and especially the
22 follow-up process for non-conformances.

23 Based on the new QA manual several
24 documents describing high level safety relevant processes
25 has also been rewritten. These processes are: document

1 control, training, work management and configuration
2 management and non-conformance management.

3 I suppose it's really important to
4 emphasize that most of these revisions were carried out in
5 extremely close collaboration with Canadian Nuclear Safety
6 Commission staff.

7 I think it's important to mention that our
8 QA activities over the last two years were also influenced
9 by a reportable event what we call the Potential Radiation
10 Exposure of CLSI Nuclear Energy Workers.

11 This incident was called by a very unusual
12 steering of our electron beam in a part of our system the
13 limit to boost the transfer line.
14 However also in this event the radiation exposure of the
15 workers involved was below the detection limit of
16 dosimeters.

17 Based on our own taproot investigation it
18 was actually the first taproot investigation carried out
19 by CLSI staff in collaboration with TRIUMF (inaudible).
20 Based on that taproot and based on the recommendation from
21 CNSC staff we established several measures to mitigate
22 risk also for the future.

23 For example we improved the local
24 shielding. We established an independent verification
25 process for the corresponding Dipole wiring, and we

1 improved significantly our visual and audible radiation
2 alarms and response system.

3 I would like now to hand over to Mark de
4 Jong to tell about the medical isotope project.

5 **DR. DEJONG:** Thank you, Josef. Okay.
6 Now I'll talk about the second part of the CLS amendment
7 request. The modification of the CLS access control and
8 interlock system to permit access to release Room 13 also
9 known as the Experiment Area 2 or EA2 at CLS from a
10 lockup.

11 This slide shows a portion of the sub-
12 basement of the Canadian Light Source facility. The
13 electron beams come from the -- the electron beam line is
14 shown in red going first coming in from the left and then
15 going down to the bottom. This is part of the 250 MEV
16 electron Linac transfer line to transfer electrons from
17 the linear accelerator to the booster.

18 The Zone 3 which is shown shaded has been a
19 part of the -- is a present part of the lock up system
20 when we operate the electron Linac.

21 It was an old experimental area from the
22 previous facility. It's currently designated as a
23 radiological storage area and no access permitted during
24 operation of the 250 MeV Linac.

25 The next slide shows the plant new

1 configuration where Zone 3 of the lockup has been reduced
2 to a short corridor and a new access gate has been
3 installed. Additional concrete and lead shielding will be
4 installed to reduce the possible radiation exposures to
5 persons in the EA2 area while the 250 MeV electron Linac
6 is operating.

7 This shielding will also block off access
8 from the EA2 to the electron beam switchyard that's in
9 Room 3 which is where the current electron beam lines are.

10 Access to the EA2 area will now be through
11 a service area room located above the electron switchyard
12 and down a spiral staircase just shown in the drawing
13 there.

14 After these changes, EA2 will be designated
15 as a radiological controlled area and access can be
16 independent of the operation of the 250 MeV Linac.

17 Nevertheless, there will continue to be
18 restricted access similar to other such areas within CLS.

19 With these changes, we then plan to use the
20 EA2 area for the medical isotope project that I will now
21 describe.

22 The CLS medical isotope project is one of
23 four such projects funded by Natural Resource Canada's
24 non-reactor-based isotope supply programs. All four
25 projects are developed in accelerator-based techniques for

1 the production of either Molybdenum-99 or Technetium-99m.

2 In our project, the Canadian Light Source
3 is the project lead with collaborators from the National
4 Research Council, the University of Ottawa Heart
5 Institute, the University Health Network, which is
6 associated with the University of Toronto, and NorthStar
7 Medical Isotopes, an American company that has developed
8 an isotope separation unit optimized for the separation of
9 Technetium-99 from low specific activity solution of
10 Molybdenum-99.

11 Our project will examine the use of high-
12 power electron linear accelerators for the production of
13 Molybdenum-99 by a photo neutron reaction on Molybdenum-
14 100.

15 In this reaction a high energy,
16 approximately 15 MEV photon, knocks one neutron out of
17 Molybdenum-100 to form Molybdenum-99. The high-energy
18 photons are produced by Bremsstrahlung radiation when
19 high-energy electrons hit a target.

20 The scope of the CLS isotope project
21 includes the procurement, installation and commissioning
22 of a 35 MeV electron Linac with a beam power up to 40
23 kilowatts. This is essentially a little bit over
24 1 milliamp average current for those that are more
25 familiar with currents for accelerators.

1 We will also be designing a converter
2 target, which is the target used by the electron -- the
3 target the electrons will hit to produce the
4 Bremsstrahlung radiation and a separate holder for
5 Molybdenum targets.

6 The project's goals include designing these
7 components to handle the electron being powered greater
8 than 20 kilowatts. Some modest development of remote
9 handling of the Molybdenum targets will also be necessary.

10 In parallel, we are also using the NRC 35
11 MeV electron Linac to validate the production yield
12 computations as well as some of the Molybdenum target
13 processing requirements.

14 The processing includes dissolving the
15 Molybdenum targets, separation of the Technetium from the
16 Molybdenum solution and recovering and reforming new
17 Molybdenum targets from the solution.

18 This slide shows a tentative layout of the
19 planned isotope production facility in EA2. The smaller
20 region shown on the left is where the 35 MeV electron
21 Linac and target assembly will be located.

22 A new shielding wall will be installed to
23 separate the isotope Linac from a new nuclear substance
24 laboratory with two hot cells to be installed on the
25 larger region on the right.

1 In addition, a new emergency exit to the
2 surface will be required to meet building code
3 requirements.

4 The next slide gives the overall strategy
5 for installation of the isotope production facility.
6 First, the present lockup system needs to be modified to
7 release EA2 from the lockup and add additional shielding
8 to protect against beam losses from the 250 MeV Linac.
9 This requires an amendment to the present CLS Class I
10 licence.

11 Then, following the standard CSNC licensing
12 process and criteria for Class II facilities, we will
13 construct the isotope production facility with CLS holding
14 a separate Class II licence for this facility.

15 The EA2 will be split into two areas, one
16 forming a bunker containing the 35 MeV isotope Linac and
17 the other area renovated to become a containment level
18 nuclear substance laboratory.

19 The isotope facility will meet the Class II
20 requirements for a research and development facility.

21 I'll now hand the presentation back to
22 Josef.

23 Thank you.

24 **MR. HORMES:** Thank you very much, Mark.

25 We come to our summary conclusion. We

1 believe that our application in support of the amendment
2 of our Class 1B operating licence is complete and has
3 addressed all comments and questions raised by the
4 Canadian Nuclear Safety Commission staff.

5 We would like a revision of the Quality
6 Manual for the Class 1B nuclear facility. That's
7 administrative in nature. And we would like the
8 modification of the 250 MeV Linac ACIS and release of the
9 AE2 area for use by the medical isotope project that has
10 been assessed for radiological hazards.

11 The CLS safety report has been revised and
12 accepted by the CNSC staff.

13 Last but not least, some concluding remarks
14 about our interaction with Canadian Nuclear Safety
15 Commission staff.

16 I think that the collaboration with CNSC
17 staff is intense and constructive, and it is guided -- and
18 that's the most important point -- by openness and trust,
19 and I'm very grateful for that.

20 However, I mentioned already a year ago or
21 so in my mid-term presentation to the Commission there's
22 always room for improvement. And I still see a little bit
23 of danger that we might be, I call it, over-regulated.

24 I think the focus of CNSC should be safety-
25 related issues. I'm well aware of the problems because we

1 are regulated by the same rules and regulations than
2 nuclear power plants. And it's sometimes not obvious to
3 see what the impact on safety is by some of the
4 regulations that are required.

5 My typical example is that connection
6 between security and safety. It's a little bit difficult
7 in our case because we have hardly any radioactive
8 material, and when the facility is switched off, we have
9 no problem with radiation.

10 It means the question is what is a security
11 issue? Stealing my laptop, for example.

12 But let's not stop with that negative
13 remark. What is really important is the collaboration,
14 transparent collaboration between CNSC staff and CLSI, and
15 I'm convinced that this constructive interaction and the
16 continued support of CNSC staff was, in the past, perhaps
17 the most crucial building block for the Canadian Light
18 Source and it will be a crucial building block also in the
19 future for the safe operation of the old Light Source and
20 also the new medical isotope project.

21 Thank you very much for your attention.

22 **THE CHAIRMAN:** Thank you.

23 Before opening the floor for questioning,
24 I'd like to hear now from CNSC. Monsieur Régimbald, the
25 floor is yours.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

11-H5

Oral presentation by

CNSC staff

M. RÉGIMBALD: Bonjour, monsieur le président, membres de la Commission. Mon nom est André Régimbald. Je suis le directeur général de la Direction de la réglementation des substances nucléaires.

Je suis en compagnie de madame Kavita Murthy, qui est la directrice de la Division des installations de catégorie II et des accélérateurs, et de madame Jacinthe Plante, agent principal de projet dans la même division.

Also with us today are Ms. Kuen Sia and Mr. Lawrence Colligan who are both management system specialists, and Dr. Felicity Harrison from the human and organizational factor. She's a -- I'm sorry -- she's a human and organizational factors specialist who are from the Directorate of Safety Management.

Also, Mr. Michael Beaudet, Director of the Nuclear Security Division, Mr. Raphael Duguay, conseiller en sécurité également de la Division de la sécurité nucléaire.

Je cède maintenant la parole à Madame

1 Murthy qui va commencer la présentation.

2 **MS. MURTHY:** Good afternoon, Mr. Chair,
3 members of the Commission. For the record, my name is
4 Kavita Murthy. Dr. Jacinthe Plante will walk you through
5 the details of the request today. In the interests of
6 time, we have omitted a lot of the information that has
7 already been presented by the licensee.

8 This presentation consists of three
9 different parts. We'll begin with the short introduction
10 of the licensee. Next, we will provide you with
11 information about the medical isotope projects and
12 finally, we will discuss the two licence amendment
13 requests that are in front of you today.

14 For the record, CLS stands for Canadian
15 Light Source, the Class 1B nuclear facility. CLSI stands
16 for Canadian Light Source Incorporated, the operator of
17 the facility.

18 In our spoken presentation, CNSC staff will
19 use the acronym CLS to refer to both the facility and the
20 operator.

21 CNSC staff have assessed the CLS
22 application and concluded that the application meets CNSC
23 expectations; therefore, CNSC staff will provide a
24 positive recommendation of the two amendment requests to
25 the Commission today.

1 Dr. Plante will now continue with the
2 presentation.

3 **DR. PLANTE:** Bonjour, monsieur le
4 président, membres de la Commission. Let me introduce you
5 to the CLS facility.

6 CLS is a particle accelerator which
7 accelerates electron close to the speed of light to
8 produce synchrotron radiation. The facility comprises a
9 linear accelerator represented by number 1 on the top of
10 the figure.

11 This accelerator brings the electrons to an
12 energy of 250 mega electron volts. When the electrons
13 reach that energy, they are transferring to the booster
14 accelerator, represented by number 2.

15 The electrons are then accelerated to 2.9
16 giga electron volts. At this point, they are transferred
17 into the storage ring, represented by number 3.

18 Electrons circulating in the ring emit
19 synchrotron radiation tangentially to the storage ring.
20 Synchrotron radiation is directed into beamlines which are
21 used to conduct experiments. Number 4 on the figure is an
22 example of a beamline.

23 CLS is a Class 1 particle accelerator since
24 the electron beam energy is above 50 meV. It's received
25 its first CNSC licence in 2000 for construction followed

1 by a CNSC operating licence in 2004. The licence was
2 renewed in 2006 and will be expiring in May 2012.

3 The current licence has been amended three
4 times by the Commission in 2008, 2009 and 2010.

5 This picture is a top view of the
6 experiential hall which contains the storage ring and the
7 booster ring. The hall dimensions are equivalent to two
8 football fields.

9 During operation, the greatest radiation
10 hazard at CLS is prompt radiation. It is called prompt
11 radiation because it's only present when the beam is on.
12 In other words, when the accelerator is turned off, the
13 radiation is also turned off. Protection from prompt
14 radiation is achieved with thick shielding and safety
15 interlocks. In the event of a natural disaster such as an
16 earthquake, the accelerator will shut off.

17 Following the earthquake in Japan in March,
18 upon CNSC request, CLS reviewed its safety case and
19 concluded that it still valid and new additional measures
20 are required.

21 CNSC staff are satisfied with CLS'
22 conclusion. CNSC staff are also satisfied that
23 radiological hazards at CLS are adequately controlled.

24 The principal radiological hazards at
25 shutdown are some activated component inside the

1 shielding. The radiation are variable levels and short-
2 lived. Local shielding as shown in the picture by the red
3 arrow is sufficient to adequately protect against these
4 hazards. There is no need to cool down or contain the
5 activated components.

6 In addition, environmental emissions from
7 CLS are nil and the risk to public is minimal. To
8 conclude, radiological hazards at CLS are very low.

9 This slide shows the dose received by staff
10 annually at CLS since the last renewal in 2006. Over
11 1,000 persons, including 125 nuclear energy workers, are
12 monitored at CLS. The exposure to nuclear energy workers
13 are well below the regulatory limit of 50 millisieverts
14 per year.

15 On the zoom-in of the graph, the maximum
16 dose received by any monitored individual is also well
17 below the public dose limit of one millisievert per year.
18 The highest dose received by an individual in 2010 was .5
19 millisievert which is still a very low dose. The majority
20 of monitored people received no dose.

21 Over the next few slides, we will present,
22 for information only, the medical isotope project. There
23 is no decision requested from the Commission on the
24 medical isotope project.

25 In October 2010, Natural Resources Canada

1 or NRCan committed \$35 million over two years to invest in
2 research and development on Technetium 99 through the non-
3 radioactive base isotope supply contribution program or
4 the NISP.

5 CLS was one of the recipients of funding
6 under this program. The funding will end in March 2012.
7 This past February, CNSC and CLS signed an administrative
8 regulatory protocol. This protocol establishes milestones
9 and service standards for licensing activity related to
10 the medical isotope project.

11 Technetium 99 is the radio isotope daughter
12 of Molybdenum 99. CLS proposes to produce Molybdenum 99
13 by irradiating a 95 per cent enriched Molybdenum 100
14 target with a gamma beam generated using a 35 mEv electron
15 accelerator. The Molybdenum 99 decays into Technetium 99
16 with a half-life of 2.75 days.

17 CLS proposes to install the medical isotope
18 project within existing Class 1B facility in the area
19 known as Experimental Area 2 or EA2. This area is
20 adjacent to the existing 250 MeV linear accelerator which
21 is represented by the yellow section on the left of the
22 slide.

23 In the blue area to the right of the slide,
24 the hot cells to process the medical isotope will be
25 built. The hot cells will also be in EA2.

1 The entire project is defined as a Class 2
2 nuclear facility. It includes a 35 mEv accelerator which
3 is defined as a Class 2 prescribed equipment. Further,
4 less than one peta Becquerel of Molybdenum 99 will be
5 processed annually at this facility. CMD-08M10 authorizes
6 designated officers to issue Class 2 nuclear facility
7 licences.

8 CLS will apply for a Class 2 nuclear
9 facility licence for the medical isotope project.

10 The picture at the top of this slide shows
11 an example of a Class 2 nuclear facility. A cyclotron
12 used to produce Positron Emission Tomography or PET
13 isotopes. Similarly, cyclotrons are also used to produce
14 Technetium 99.

15 The Accelerators in Class 2 Facility
16 Division regulates around 300 Class 2 nuclear facilities.
17 All Class 2 licences are issued by designated officers.

18 In conclusion, CLS medical isotope project
19 is similar to facility already regulated by CNSC under
20 designated officer authority. Understanding that this
21 area is of high interest to the Commission and the public,
22 we have presented this project for your information only.

23 This concludes the first part of the
24 presentation.

25 We will now move on the first of two

1 amendment requests. This request is to revise the safety
2 report listed on the licence to allow occupancy in the
3 Experimental Area 2 or EA2, during the operation of the
4 250 MeV linear accelerator.

5 The Experimental Area 2 or EA2, on the
6 right of the slide where the medical isotope project will
7 be installed is adjacent to the 250 MeV linear
8 accelerator. At present, area EA2 is an exclusion area
9 during operation of the 250 MeV accelerator. In other
10 words, no one is allowed in the area when the accelerator
11 is operating.

12 In order to allow access to area EA2 two
13 major modification to the area are proposed. I will
14 discuss a proposed modification in the next slides.

15 The first modification is to add shielding
16 to reduce doses to an acceptable level in area EA2. CLS
17 submitted details of the shielding and dose estimate to
18 work in this area.

19 CNSC staff have performed independent
20 analytical shielding calculation to verify if doses are
21 acceptable during operation of the 250 MeV linear
22 accelerator.

23 In our calculation we use two occasions,
24 which are the source of the greatest radiation hazards
25 shown by the green and orange circle on the figure. CNSC

1 staff have evaluated the following two scenarios: first,
2 the worst case scenario where all the electrons beam is
3 lost at one single point.

4 And second, for normal operation where
5 there will be some losses of electron. For normal
6 operation we have used five percent of beam power loss.
7 There is note of CNSC staff calculation are presented in
8 this slide. For the worst case a complete loss of
9 electrons beam, the dose rate in area EA2 would be 15
10 microsievert per hour. It should be noted that this type
11 of event is rare and lasts only a few minutes. If CLS
12 staff were exposed in such an event the dose received
13 would be negligible.

14 For normal losses during operation the dose
15 rate in EA2 was .75 microsievert per hour. This would
16 present 1.5 millisievert per year for a full occupancy of
17 2,000 hours per year, which is much higher than the
18 expected occupancy of this area.

19 In reality the occupancy of the area would
20 be less than four months during construction and will
21 result a dose -- in a dose less than .5 millisievert.

22 In conclusion, the proposed additional
23 shielding would reduce the dose to CLS staff to an
24 acceptable level.

25 The second modification to area EA2 is a

1 change to the access control system. At present there are
2 three entrances to area EA2 indicated by P1, P2 and P3.
3 Of these only two will remain functional. P1 will be
4 completely blocked with concrete. P2 will be controlled
5 by the access control interlock system. Entrance P3 will
6 remain the only safe access to area EA2 during operation
7 of the 250 MeV accelerator.

8 Effectively with the additional shielding
9 in place area EA2 will no longer be an exclusion area and
10 can be safely removed from the lockup zone. CNSC staff
11 have reviewed the lockup process in the lockup zone and
12 the proposed changes are acceptable.

13 The second amendment request is the
14 revision of the quality assurance manual listed on the
15 current operating license. CLS revised its quality
16 assurance, or QA manual listed in its license. The
17 proposed revision corrects deficiencies identified during
18 a CNSC audit in 2008, and following an investigation of an
19 event in 2009.

20 CNSC staff identifies some deficiencies in
21 QA processes and in the implementation of the program. Of
22 the item listed on this slide Configuration Management
23 Control and Independent Verification processes were
24 identified as weaknesses contributing to the event in
25 2009.

1 Please note that this is the same event
2 that was referred to in CLS presentation as potential
3 radiation exposure to CLS nuclear energy workers. CNSC
4 referred to it as the Dipole Incident for reason which
5 will be obvious as briefly outlined in the next slides.
6 In October 2009 CLS reported that due to a polarity error
7 on the dipole magnet a 250 MeV electron beam was
8 misdirected towards the shielding wall. In the figure the
9 orange circle represent the dipole. The green arrow
10 represent the normal direction of the beam and the red
11 arrow represents the direction of the misdirected beam.
12 At the time of the incident on the other side of the wall
13 three CLS workesr were present. Following this incident
14 the radiation badges for the workers were red. No dose
15 was received by any of the worker present in the area
16 during the event.

17 Following a review of the investigation
18 report submitted by CLS and after an inspection that
19 followed, CNSC staff identified several deficiencies that
20 contributed to the event. CNSC required CLS to implement
21 a number of corrective action, which are as follows:
22 Revision of the QA manual, improvement of visible and
23 audible alarm. The picture on the slide show the improved
24 radiation alarm installed at CLS facility this year. The
25 radiation alarm now include a set of three lights and a

1 loud speaker as seen on the top of the figure.

2 CNSC staff also requested retraining of
3 staff on how to respond to alarm and to assess if similar
4 event could occur at any other locations.

5 The diagram in the photograph show the area of the Dipole
6 Incident. CLS safely reproduced the Dipole Incident in
7 2010. And has installed additional shielding in areas
8 that show high radiation dose rate. This additional
9 shielding is shown in yellow in the photograph taken by
10 CNSC staff during an inspection in April of this year.
11 CLS did not find any other location that could be affected
12 with high radiation field.

13 This slide summarizes CNSC staff oversight
14 of the QA program. Another program in 2008 highlighted
15 deficiency in the QA program which were corrected in June,
16 2009. In October, 2009 the Dipole Incident event show
17 further deficiency in the QA program. Since then CNSC
18 staff inspection follow up on the implementation of
19 corrective actions.

20 In March 2011 CLS applied to amend its QA
21 manual. CNSC staff has reviewed the revised manual and
22 found it acceptable. Before renewal in 2012 CNSC will
23 perform a QA audit to verify the implementation of the
24 program.

25 To summarize the medical isotope project is

1 presented to the Commission for information only. No
2 decision is requested. CLS has requested two amendment to
3 its license. The first amendment is regarding the
4 revision of the safety report to all our staff to occupy
5 area EA2. To prepare the area for the medical isotope
6 project.

7 And the second amendment is regarding the
8 revision of the quality assurance manual. CNSC staff
9 reviewed CLS application and concluded that the
10 application meets CNSC expectation and that the licensee
11 is qualified to carry on the activity and will make
12 adequate provision toward the protection of the
13 environment, the health and safety of person.

14 For this application CNSC staff recommend
15 that the Commission amend the license by updating Appendix
16 A to include the latest revision of CLS safety report and
17 that the Commission amend the license by updating Appendix
18 B to include the latest revision of CLS quality assurance
19 manual.

20 Thank you for your attention. CNSC staff
21 is available for questions.

22 **THE CHAIRMAN:** Thank you. So let's jump
23 into the question period and we'll start with Mr.
24 Tolgyesi.

25 **MEMBER TOLGYESI:** Merci, Mr. Président.

1 Could you precise this Dipole Incident event which
2 happened, which is in your slide 22, the one you compared
3 to your slide 3. What happened? Where's the location?

4 It's to staff.

5 **DR. PLANTE:** The incident, this is compared
6 to slide number 3 if I can.

7 **MEMBER TOLGYESI:** You have a full circle
8 there from linear accelerator to booster and storage ring
9 and beam lines.

10 **DR. PLANTE:** It's in between of the
11 entrance of the linear accelerator to the booster and I
12 can put it on the slide if you bring me to the slide.
13 That will have happened here. Can you see that arrow?
14 It's right here.

15 **MR. REGIMBALD:** It is right, Andre
16 Regimbald for the record, it's right at the entrance from
17 where the linear accelerator injects electrons into the
18 booster as shown in the little -- can you point Jacinthe
19 again the arrow? Can you see that Mr. Tolgyesi?

20 **MEMBER TOLGYESI:** Yes.

21 **THE CHAIRMAN:** So what's the doomsday
22 scenario here if somebody was right in the middle -- I
23 mean nobody got any dosage, et cetera, but what could have
24 happened if somebody was in the line of sight?

25 **MR. HORMES:** Josef Hormes for the record.

1 There is shielding and that shielding was
2 also tested during the commission of the whole system
3 there.

4 It means we are not sure if the workers
5 were not in the line of sight of the electron beam, but
6 the shielding was obviously sufficient because there was
7 no reading on the dosimeters in this case.

8 There is shielding of course what you have
9 seen in the drawings. There was accidental shielding
10 because there is a huge magnet sitting in between but
11 there's also a wall that's an intentional shielding that
12 was actually also calculated during the commission of the
13 linear to booster transfer system. The reaction of our
14 people was not what we would expect.

15 Well I'm looking for slide number 7 about
16 doses, maximum dosage to workers. It's quite obvious that
17 you are well below the public dose limit of millisievert
18 for here.

19 But still it's quite increased compared to
20 previous year's performance as well it was less than .2.
21 Now you're at about a .5 or .6. This increase is due to
22 what?

23 **MR. BENMERROUCHE:** Mo Benmerrouche for the
24 record. The increase in that dose was actually me in
25 fault in those measurement to produce the dipole event.

1 So I received that dose because I was doing
2 measurement to produce the dipole event, and that dose is
3 for myself as an nuclear energy worker, this is just for
4 myself, .5 millisieverts I received.

5 But in general nuclear energy worker and
6 users and staff do not exceed levels about .2
7 millisieverts. So that's why just for that specific time
8 when we did radiation measurement to produce a dipole
9 event.

10 **MR. HORMES:** Josef Hormes for the record.

11 That slide might be misleading. It's one
12 exposure, it's not averaging over 1,000 users. And that
13 one person received .5, is Dr. Benmerrouche in this case.

14 That is the highest dose that was recorded
15 for anyone working at the CLS. And that means the highest
16 dose in 2009 was, .01 and the highest dose recorded in
17 2010 was .5 because it was Dr. Benmerrouche repeating the
18 dipole wiring event and doing a lot of measurements to
19 verify that the shielding and everything was adequate.

20 **MEMBER TOLGYESI:** So he was testing on
21 himself. You have any consequences, no?

22 **DR. BENMERROUCHE:** Still alive.

23 **MEMBER TOLGYESI:** And then I have one last
24 question, it's a little bit more technical. When you go
25 to the slide 11 of staff. What I understand that -- slide

1 11. That the photon beam produced by 25 MeV linear
2 accelerator will hit the (inaudible) located in a target
3 area I suppose. And there will be some hot cells which
4 will be used to dissolve the moly targets to produce moly
5 99 and eventually Tc-99 moly.

6 Now this moly targets, moly target is
7 consist of what, it's a solid, it's a liquid, it's a
8 vapor, it's what?

9 **DR. DEJONG:** For the record Mark de Jong,
10 Canadian Light Source. The targets are planned to be
11 molybdenum metal discs 1 millimeter thick, 15 millimeters
12 in diameter and there'll be a stack of them and the photon
13 beam will be passing through them.

14 And then the processing afterwards will be
15 just processing the small discs that are essentially about
16 the size of a quarter.

17 **MEMBER TOLGYESI:** Okay. Now this moly
18 targets will be processed in hot cells?

19 **DR. DEJONG:** Correct.

20 **MEMBER TOLGYESI:** Okay. So how will you
21 move them because it's a shielding all around, how will
22 you move these targets from where they are, where they are
23 produced to the cells and ensure that, you know, what's
24 the safety?

25 **DR. DEJONG:** The details we're still

1 working on. To make things nice and simple we are
2 basically going to look at dropping those discs into a led
3 pig and basically then carry them around and put them into
4 the hot cells and carry on doing the processing in the hot
5 cells.

6 **MEMBER TOLGYESI:** Okay. So they will be in
7 a led pig.

8 **DR. DEJONG:** Yeah.

9 **MEMBER TOLGYESI:** It's no danger, no
10 exposure for those who will manipulate them?

11 **DR. DEJONG:** That's correct.

12 **MEMBER TOLGYESI:** That's it Mr. President,
13 merci.

14 **THE CHAIRMAN:** Thank you. Who's next?
15 Dr. McDill.

16 **MEMBER MCDILL:** Thank you. First question
17 to staff, is the oversight appropriate and suitable and
18 matching to all other facilities, Class 1B facilities of
19 this type? I mean, is this facility over-regulated
20 compared to other facilities of the same type?

21 **MS. MURTHY:** Kavita Murthy for the record.
22 To the extent that the hazards posed by this facility are
23 comparable to other Class 2 nuclear facilities, we believe
24 that CLS can be effectively regulated as a Class 2 nuclear
25 facility.

1 However given that the definitions that are
2 in our regulations place them in the Class 1 realm if they
3 are, they have to follow the process associated with that.

4 **MEMBER MCDILL:** And what is the most I
5 guess onerous aspect of that for them? They can tell me
6 themselves, but from staff's perspective.

7 **MR. REGIMBALD:** Well Andre Regimbald here.
8 The process for licensing is a bit more administrative,
9 that there are more administrative processes. For example
10 in coming to the Commission, compared to being the
11 designated officer who would consider an application or a
12 licensing decision.

13 However I would like to point out it's very
14 important that the rigor in the technical assessment is
15 the same whether the license is issued by an officer or
16 whether it's presented to the Commission for a decision.

17 **MEMBER MCDILL:** Is there a fiscal burden
18 associated? Fiscal or financial burden associated with
19 this?

20 **MS. MURTHY:** CLS is exempt as a research
21 facility at the present time, so short answer's no.

22 **THE CHAIRMAN:** But I know that university
23 Professor (inaudible) is not being charged there but he's
24 presumably some cost associated with this, right? To
25 them.

1 **MR. REGIMBALD:** Yes, absolutely. The
2 licensee has to come to the meeting here in Ottawa, but
3 they are exempt from the CNSC Cost Recovery Regulations.

4 **THE CHAIRMAN:** Just to follow-up, so these
5 are our regulations, right? So if you believe that they
6 are misclassified by our regulation. What does it take to
7 change it?

8 **MR. REGIMBALD:** Well, I suppose that CLS
9 could present a request for us to consider an exemption by
10 the Commission under the Act, on the regulations from the
11 Class I regulations and have them classified as a Class II
12 nuclear facility. And in the long-run we would introduce
13 proposed changes to the Class I regulations to remove the
14 designation and put that in the Class II nuclear facility
15 regulations.

16 **THE CHAIRMAN:** Mr. Jammal.

17 **MR. JAMMAL:** Thank you, Mr. President. For
18 the record, Ramzi Jammal. There are a couple things, to
19 Dr. McDill's very valid question.

20 When we were amending the Class II
21 regulations way back then I want to go on the record and
22 state, we told CLS, actually, we asked them and we were
23 amending the regulation for them to fit into the Class II
24 regulation. At the time CLS did not want to be in a Class
25 II and they wanted to -- wished to remain as a Class I,

1 that's one aspect.

2 The other aspect the President asked
3 question is what does it take to make the change to
4 regulations. Of course through the process and we will be
5 working on different classes with respect to the Class I
6 regulation and the (inaudible). But we are, since we are
7 before the Commission then the approval process with
8 respect to this Class I facility, and all LSU colleagues
9 can correct me if I'm offline here, that the delegation of
10 authority can be granted to the DO, designated officer, so
11 that the approval process can be done at the DO level and
12 reported back to the Commission on the approval process.

13 But in conclusion when we amended the Class
14 II regulations the intent was to include CLS, add CLS on
15 their own motion, which we have documented exchanges with
16 them; they wanted to stay as a Class I facility.

17 **THE CHAIRMAN:** CLS, why?

18 **MR. HORMES:** Yes, Josef Hormes. It was
19 long before I came to Canada. It is for me history. And
20 there were good reasons at that time to consider at least
21 staying in Class I and (inaudible).

22 **DR. DEJONG:** I guess I have to claim
23 responsibility for that decision.

24 The reason for the decision came when we
25 had actually finally got our operating license as a Class

1 I facility. And then there was the request to come as a
2 Class II, but the classification as Class II was as an
3 electron synchrotron solely for the purpose of generating
4 synchrotron radiation.

5 So that a variety of other experiments, say
6 if we wanted to do an experiment even with the 250 MeV
7 (inaudible) into a fixed target would be require us to be
8 Class I again.

9 Also there were a variety of fairly
10 detailed specifications on the character of the safety and
11 lockup systems that were very prescriptive in the Class
12 II. We had ones that we felt were completely equivalent
13 and acceptable to the Commission, but they did not in
14 detail comply with the Class II requirements and we would
15 have to go back and reengineer it to meet the Class II
16 requirements.

17 We felt with those changes that had no
18 value and the possible future limitations on some
19 potential experiments that may come in the future on a
20 research facility given that we were already a Class I
21 facility we chose to remain one.

22 **THE CHAIRMAN:** Well, we heard that there's
23 flexibility here. I think there's room to negotiate in
24 the future if so you wish. Dr. McDill.

25 **DR. MCDILL:** I have a couple more

1 questions, but why didn't you do this by teleconference
2 for example? Why did all of you come?

3 **MR. HORMES:** Josef Hormes. We like the
4 direct interaction and coming to a real city.

5 **DR. MCDILL:** Fair enough. We like to see
6 you too.

7 My next question is with respect to the --
8 trying to recreate the incident. Did you present the
9 experiment you wanted to run to staff, or were you
10 required to before you deliberately exposed yourself even
11 as a new (phonetic)?

12 **MR. BENMERROUCHE:** Mo Benmerrouche for the
13 record. We did discuss the test that we wanted to do to
14 reproduce the dipole event with a CNSC project officer.
15 And the reason we wanted to do, redo or try to understand
16 what happened because most people thought that the event
17 was due to the reverse polarity of the dipole downstream.
18 I think if we can put

19 **UNIDENTIFIED SPEAKER:** Slide 23.

20 **MR. BENMERROUCHE:** Slide 20 --

21 **UNIDENTIFIED SPEAKER:** Or slide 3.

22 **DR. MCDILL:** You can put slide 24 on CNSC
23 staff.

24 **UNIDENTIFIED SPEAKER:** Slide 23. Try slide
25 22 I think, right? You want this one?

1 **MR. BENMERROUCHE:** So the one before that.

2 **UNIDENTIFIED SPEAKER:** Yeah. It's slide
3 22.

4 **MR. BENMERROUCHE:** Yeah. The -- when we
5 had that event -- yeah. So you can see from the diagram
6 there are two dipole. There's the B1300.02 and the
7 B1300.03. When we had the event most people thought that
8 it was due to the reverse polarity in the dipole B1300.03.

9 When you look at that configuration we did
10 think that could have led to the high dose. The reason
11 for that is if the beam is directed like in that red arrow
12 it's well-shielded in the beam direction by that -- see,
13 there's the booster dipole DP, it's a lot of steel there
14 in the direction of the beam. And we did think that was
15 the issue with the elevated radiation level that we
16 measured. That's one point.

17 When we had the event we had the radiation
18 alarm. We had the area radiation monitors, just between
19 wall two and wall one, just in that crack there. And the
20 levels measured by the radiation monitors were a little
21 over 15 microSv per hour. And given the shield that is in
22 place we thought that it cannot be possible, but it is due
23 to the reverse polarity in that dipole.

24 So we wanted to understand what's going on.
25 And when we talked to the accelerator physicist and we

1 tried to understand what was going on at that time. And
2 at that time typically for the accelerator physicist they
3 want to get the beam from B1300.02 to the green arrow on
4 the other side of B1300.03.

5 And when you do that there's a fair amount
6 of missteering between B1300.02 and B1300.03.

7 **MEMBER McDILL:** Miss --

8 **MR. BENMERROUCHE:** Missteering the beam.

9 **MEMBER McDILL:** Missteering.

10 **MR. BENMERROUCHE:** Yeah. And what happened
11 is, because that dipole was in the reverse polarity they
12 could not see the beam beyond B1300.03. So because of
13 that they tried to missteer the beam so they can see
14 whether they can have the beam on the other side of
15 B1300.03.

16 Typically in most situation when you set up
17 that line the missteering is very small. You don't have
18 to do a lot of missteering before you can see the beam on
19 the other side of B1300.03.

20 But because they could not see the beam
21 because of the reverse polarity because the beam was not
22 making it into the, you know, its nominal path, so they
23 had to do some extreme missteering. When I say extreme
24 we're talking about you know, slightly like 95 percent or
25 so of the nominal path.

1 So by looking at the whole thing we said we
2 need to try to reproduce the event by doing that
3 missteering and see if we can reproduce that event.
4 That's why we discussed with the CNSC staff about the
5 whole issue. And then doing that testing we also -- we
6 used the proper precaution to make sure that you know,
7 there's nobody in that area except nuclear energy workers
8 and the radiation staff.

9 And what happened is the elevated radiation
10 level is not actually at beam height. The radiation --
11 the high radiation level was actually above beam height.

12 **MR. BENMERROUCHE:** The higher radiation
13 that was actually above beam height. It was a little
14 over, what, 1.7 meters or so.

15 So we wanted to do that just to have a
16 better understanding of what's going on with that
17 situation so we can evaluate the losses and also design
18 the proper shielding for that area.

19 So that was the main reason, if we didn't
20 do those radiation measurements, it's going to be really
21 hard for us to properly design the shielding like we show
22 in the other slides and reduce the dose rates.

23 And also, I just emphasize that the dose
24 rates were above beam height. So even if people were
25 there, the likelihood of them being exposed to those

1 radiation level is very small because the radiation levels
2 were above, you know, beam height.

3 Does that answer your question? I know
4 it's a lot of details.

5 **THE CHAIRMAN:** Okay, forgive me, but I
6 didn't get the punch line.

7 So what happened? So you did the test ---

8 **MR. BENMERROUCHE:** And then ---

9 **THE CHAIRMAN:** --- it's the miss-steering
10 that's causing this?

11 **MR. BENMERROUCHE:** All right, we've figured
12 out what happened.

13 **THE CHAIRMAN:** What happened?

14 **MR. BENMERROUCHE:** Miss-steering.

15 **THE CHAIRMAN:** So it's miss-steering and
16 then it went off?

17 **MR. BENMERROUCHE:** Yes, the miss-steering
18 was happening between B1300-02 to a B1300-03. Right?

19 **THE CHAIRMAN:** And, therefore, then, where
20 did the beam go to then?

21 **MR. BENMERROUCHE:** So what happened is,
22 when you miss-steer the beam, the beam will hit the big
23 pipe at a very small angle and, when you do that, you
24 shower, you produce a lot of radiation. Most of the
25 radiation is well-shielded at beam height because of the

1 shielding and -- that we have in place.

2 **THE CHAIRMAN:** Okay.

3 **MR. BENMERROUCHE:** But, above, you will see
4 slightly elevated radiation levels.

5 That also allow us to have a better
6 understanding of what we need for shielding. And to
7 really come up with the proper design of the shielding,
8 there is many ways how to do that too and, then, we
9 discuss that with the engineers and the best solutions
10 that you come up with is to have a local shielding around
11 the pipe.

12 So even if you have mistake, even at larger
13 angles, it will still be captured by the local shielding.

14 **MR. HORMES:** Josef Hormes, for the record.

15 The alternatives would have been to rely on
16 simulations; and we did that. We also simulated the
17 event.

18 On the other side, we discussed it with the
19 Canadian Nuclear Safety Commission staff: simulation is
20 one side, but the real measurements are the truth.

21 And, therefore, with all those
22 measurements, it would not have been really possible to
23 determine also those showers that were above 1.70 metre or
24 so. It would not be possible. I mean, the
25 measurements were a crucial element for designing the

1 proper shielding that will prevent in the future any of
2 those events.

3 **THE CHAIRMAN:** Dr. McDill?

4 **MEMBER McDILL:** I have no problem with
5 running experiments, what I have a problem with is
6 unnecessarily exposing -- even a new -- to this and that's
7 why I asked -- and I am going to go back to the staff in a
8 minute -- if this was approved.

9 I don't know, for example, why you didn't
10 put a whole pile of dosimeters hanging on polymer dummies
11 from the ceiling to the floor and the entire length of the
12 wall.

13 So maybe you can ask and, then, staff, I
14 know, wants to answer something.

15 **MR. BENMERROUCHE:** Mo Benmerrouche, for the
16 record.

17 I still believe that the exposure was not -
18 - we still practice a lot to make sure that we minimize
19 the exposure to the staff, but ---

20 **MEMBER McDILL:** Forgive me, but as low as
21 reasonably -- is not deliberately exposing yourself,
22 that's not ---

23 **MR. BENMERROUCHE:** No, but what we've done
24 is we tried to characterized the losses but, once we
25 established that, we actually use dosimeters on the wall

1 to actually record the radiation levels that we indicate
2 in our reports.

3 So it was just to get an idea of what's
4 going on. But, once we established that we actually
5 deploy dosimeters and we expose those dosimeters for
6 whatever period of time to get adequate levels of
7 radiations -- and that's what we've done actually, we've
8 exposed shielding on various experiments for the
9 situations.

10 **MS. MURTHY:** Just a point of clarification:
11 The area that Dr. Benmerrouche is talking about is in a
12 shielded area. It isn't -- he was never in direct line of
13 the full beam. It is beyond a shielding wall.

14 Had he been in the beam, he would not be
15 here today.

16 Number two, they did perform simulations
17 before asking him or before undertaking the actual
18 measurements.

19 **MEMBER MCDILL:** So when we go to Section 5,
20 page 2 of 6 and you are talking about:

21 "... upon completion of shielding
22 installation, radiation
23 measurements will be performed to
24 validate the shielding design.
25 Additional shielding will be

1 added as required ..."

2 This is going to be more of the same?

3 **MR. RÉGIMBALD:** I'm sorry, Dr. McDill,
4 could you please repeat again your reference?

5 **MEMBER McDILL:** It's a supplementary
6 report, section 5, Safety Report, page 2 of 6.

7 This is to go to the next stage. Are we
8 going to have more testing of this kind?

9 **MS. MURTHY:** I believe the evaluation is
10 complete and I believe that no other areas have shown the
11 start of elevated dose levels; but I will let Dr. Plante
12 answer.

13 **DR. PLANTE:** Jacinthe Plante, for the
14 record.

15 We were on an inspection in April 2011. We
16 have seen shielding in place, we received the result and
17 the result are confirming a reduce of dose rates behind
18 the shielding wall.

19 So we are satisfied with the dose and the
20 shielding in place and there are no other additional areas
21 where they found high exposure.

22 **MEMBER McDILL:** And the simulations don't
23 show any other areas as well?

24 **DR. PLANTE:** Correct.

25 **MEMBER McDILL:** And will the simulations be

1 -- has the simulation software been refined to pick up
2 this kind of change that wasn't picked up the first time?

3 Maybe CLS should answer that one.

4 **MR. BENMERROUCHE:** Mo Benmerrouche, for the
5 record.

6 When we talk about the simulation, it's a
7 Monte Carlo simulation. It's a code and -- I don't know
8 if any ---

9 **MEMBER McDILL:** Yes, "Monte Carlo" says it
10 all. Thank you.

11 **MR. BENMERROUCHE:** Okay.

12 **THE CHAIRMAN:** Monsieur Jammal?

13 **MR. JAMMAL:** Thank you, Mr. President.

14 Dr. McDill, you're asking very good
15 questions and let's not -- I have known Dr. Benmerrouche
16 for a while, let's not make him the hero that's he's been
17 exposing himself to radiation.

18 There is a simulation that takes place
19 based on Monte Carlo on determining the shielding aspect.
20 The testing that he has done is a normal testing that we
21 do during commissioning.

22 So you do the modeling, you establish the
23 shielding design ascertains dose and, at times, when you
24 are evaluating if there is a void in your shield, you're
25 taking measurements.

1 You're correct, usually, you start with the
2 model itself, determine the efficiency of the shielding
3 and, then, you go into the physical layout itself and you
4 take other measurements or you put dummies or you put TLDs
5 on the wall.

6 So before -- for me not reviewing, but the
7 practice and the policy of the CNSC would never allow an
8 individual to expose themselves, let it be voluntarily or
9 not, without ascertaining the dose and potential worst
10 case scenario.

11 And in that case, when we looked into the
12 CMD, when I was dealing with the CMD, I asked the same
13 questions. The dose was based -- the potential dose, was
14 based on Monte Carlo simulation, adequacies of the
15 shielding and, then, he was allowed to go on to the air to
16 do the measurements.

17 **MEMBER McDILL:** So it was approved ahead of
18 time, which was my first question.

19 **MR. JAMMAL:** Correct.

20 **MEMBER McDILL:** Thank you. Thanks, Mr.
21 Chair.

22 **THE CHAIRMAN:** Thank you.

23 Monsieur Harvey?

24 **MEMBER HARVEY:** Merci, monsieur le
25 president.

1 Just to follow, what was the reason, the
2 main reason, to report the incident?

3 Would the incident have been reported to
4 CNSC if there hadn't been people there?

5 **MR. RÉGIMBALD:** André Régimbald, here.

6 Yes, that's correct, Mr. Harvey, because in
7 this instance there was no dose incurred by anyone or the
8 dose was very low.

9 So because the people were standing behind
10 that shielded area and no one was inside and they are not
11 allowed to go inside the area.

12 But if the dose had exceeded an action
13 level or a limit specified in the regulation, yes of
14 course, we would have reported the incident to the
15 Commission.

16 **MEMBER HARVEY:** What I mean is the
17 reporting from the -- not from the Commission but from the
18 licensee.

19 I mean, if there hasn't been people there,
20 could the incident occur and no obligation to report to
21 the CNSC staff.

22 **MR. RÉGIMBALD:** No, the incident would have
23 been required by the regulations to be reported by CLS to
24 the Commission as per the regulation.

25 **MEMBER HARVEY:** Okay.

1 How was it detected? Is this something
2 that you detect instantly when that occurs?

3 How long could last such incident? And,
4 have you ever to your knowledge such incident did occur in
5 the past?

6 **DR. DEJONG:** For the record Mark de Jong,
7 Director Of Accelerators. I'll give you a little
8 background on that one. We had been coming out of an
9 outage where we had been commissioning new power supplies
10 for those magnets which was the end of not being
11 commissioned and the error on the wiring occurred when
12 retrofitting went back to the old power supply.

13 At the time we were trying to set up the
14 beam going all the way through. So I think if we go to
15 that diagram shown on slide 24, the normal set up
16 procedure is to run the beam straight through along the
17 bottom, there's a screen there to monitor it, and then the
18 operator switches it into the bend to take a look.

19 The next position there you can see the
20 beam would be after the second dipole which happened to be
21 reversed. The operator was just trying to understand why
22 he could see beam at the first position and couldn't see
23 beam at the second position and steered it back and forth
24 trying to see whether it was just some misadjustment on
25 the first dipole.

1 When he was doing that the first time on
2 the larger slide I guess it's 22. You see where it says
3 RF, that's a radio frequency cavity there. The RF system
4 was required for the booster to operator, but RF system
5 tripped off.

6 The control for that RF system is just on
7 the other side of the shielding wall so two of the people
8 went over there to restart the RF system.

9 They no sooner got it restarted while the
10 first operator was going and it tripped off a second time.

11 We've inferred afterwards that it was when
12 he was steering the beam back and forth at some time the
13 beam briefly went through that RF system, caused an arc in
14 it and that's why it tripped off.

15 It's also why some of the other technicians
16 who were just on the other side of the wall, while they
17 were there they saw the radiation monitor going off
18 indicating over 50 microsieveverts per hour.

19 And they got out -- first they called the
20 operator and said turn it off, the beam, and then got out
21 there and reported it to the HSC saying that radiation
22 monitor had gone off.

23 So that was the scenario through the -- by
24 the time the second incident the operator had already
25 concluded there was something wrong with those magnets

1 down there and immediately went down to investigate and
2 found that the dipole polarity was reversed.

3 So the inference of the group at the time
4 was that they got the radiation through the wall because
5 of the reverse dipole. It was the subsequent reproduction
6 of the event we realized that just by steering you could
7 actually see that if the beam is not bent by the full
8 amount but a little bit less you have a direct path going
9 right into that wall causing a much larger shower. And
10 that shower was going above the existing shielding that
11 was in there.

12 So I think it highlighted for us, you know,
13 several little problems on the operation. One is, in
14 general the operators had known that there was a shielding
15 against the inside of that concrete wall had assumed that
16 it was sufficient so they didn't worry too much about any
17 missteering of the beam when they were working there.
18 So I highlighted that those assumptions were not correct
19 and so I think that's where we had the whole investigation
20 and said, okay we need more shielding around there and
21 started responding to it.

22 But I think it was -- it created enough
23 concern that we reported to Health and Safety, we left it
24 up to Health and Safety to decide whether that was a
25 reportable incident.

1 **MEMBER HARVEY:** Merci.

2 **THE CHAIRMAN:** Merci. Thank you. Mr.
3 Barriault?

4 **MEMBER BARRIAULT:** Merci, Monsieur le
5 Président. I guess just a few business case questions
6 if you want to on medical isotopes. Have you crunched out
7 the figures whether you'll be cost effective of producing
8 radioisotopes for medical purposes compared to the NRU
9 costs?

10 **DR. DEJONG:** I guess I have two parts to my
11 response. One is to try to determine what NRU costs are.
12 That's the byproduct of the reactor.

13 In our analysis we'd be -- based on the
14 measurements that we've actually done at the NRC on terms
15 of the yield, the 40 kilowatt machine that we're building
16 would provide approximately 100 curies per week which
17 would be enough for Province of Manitoba, Saskatchewan and
18 still have probably about 30, 40 curies left over.
19 That two 100 kilowatt electron accelerators with this
20 capability would have sufficient capabilities of supplying
21 molybdenum 99 for the country.

22 When we try to go through all of the costs
23 we believe you would actually make money at \$400 per curie
24 for the moly 99.

25 Now whether it really makes sense as a

1 private business it's still to be determined, but we
2 certainly believe it could be quite competitive.

3 **MEMBER BARRIAULT:** So you'll be able to
4 supply, you assume you'll be able to supply Saskatchewan,
5 Manitoba I would imagine the east side Alberta, also?

6 **DR. DEJONG:** That's potential. For now
7 we're talking about just, you know, this is a
8 demonstration to see that we can get the yield. There
9 will be certainly much more certification and regulatory
10 approvals required from both the CNSC as well as Health
11 Canada before we went on any sort of production.

12 **MEMBER BARRIAULT:** Thank you. Thank you,
13 Mr. Chairman.

14 **THE CHAIRMAN:** I like to follow-up on this.
15 So what is it that you actually have to deliver by 2012?
16 You know, and are you going to be ready? 2012 is around
17 the corner, are you going to do all this between now and
18 then?

19 And is the chemistry and the hot cells and
20 everything, you know, you don't have to do all this, it's
21 not new discovery. You know the chemistry, you know the
22 protocol, you know all the thing that needs to be done to
23 actually produce this and you got to supply for molybdenum
24 100, all of the above.

25 **DR. DEJONG:** We certainly got a very

1 challenging timeline for trying to achieve something
2 because all of the expenditures for this project must be
3 completed by March 2012.

4 So it's a race to get things committed and
5 spent and that results in scoping sometimes a little
6 elastic.

7 We are most intently focused on being able
8 to demonstrate that we can at least run 20 kilowatts into
9 the target and demonstrate the yield of something like
10 about 20 curies per day.

11 If we can demonstrate 20 curies per day and
12 some molybdenum metal, I think that'd be a lot more
13 interest and we'll look for funding to carry on during the
14 processing afterwards.

15 We're going to take a look at trying to put
16 in as much of that processing infrastructure as we can,
17 feasibly within the project time, but it would be tight.
18 I think when we compare -- we certainly know that the
19 Health Sciences Center in Winnipeg has a separation
20 technique for low specific activity molybdenum 99,
21 activity from low molybdenum 99.

22 They have the capability of processing
23 radiated molybdenum metal for extraction of the
24 technetium. So we're also taking a look at some possible
25 collaborations with them.

1 I think a lot of the elements are in place,
2 we'll take a look at what we have time to actually do and
3 then start taking a look at whatever we need to supplement
4 afterwards.

5 **THE CHAIRMAN:** I met yesterday at the CNS a
6 very interested party in the proof of concept and
7 commission, it's your minister, Minister Norris who
8 suggested that we be nice to you here today.

9 The point is that everybody is looking for
10 the commercial proof of concept here. Are you keeping
11 track of the other three experiments?

12 **DR. DEJONG:** We're certainly in,
13 effectively in close communication with the other three
14 components. Most closely but the Manitoba proponents that
15 are also looking at the similar electron process.
16 I've also worked closely with the TRIUMF people for just a
17 lot of basic advice on hot cells and a lot of the handling
18 and some of the issues.

19 The University of Saskatchewan is also
20 pursuing a PET cyclotron and by that having close
21 collaboration with the University of Alberta which is one
22 of the fourth participants.

23 So it's a fairly small community and we're
24 trying to stay in close collaboration and communication
25 with everyone.

1 **THE CHAIRMAN:** The bottom line is you guys
2 are convinced at least by 2016 there will be an
3 alternative to the NRU?

4 **DR. DEJONG:** Certainly, yes.

5 **THE CHAIRMAN:** Anybody else, Mr. Harvey?

6 **MEMBER HARVEY:** Small question. In page 4
7 of your document about the target assembly which has
8 coating for the targets will become somewhat more direct
9 over your radiations. But with the careful selection of
10 materials the assembly should useable for many radiations
11 but would happen after that?

12 Careful on selection of material, DSN black
13 should be usable for many irradiations but what happened
14 after that? What, this will be irradiated that would be
15 wasted, nuclear waste after that, I suppose and you will
16 have to manage that.

17 **DR. DEJONG:** That's correct, the current
18 design for the converter target would be for one
19 millimetre thick, tantalum falls approximately a
20 centimetre, a couple centimetres in diameter.

21 We know of similar designs that it was used
22 in Oakridge for production of neutrons for many years that
23 was run up to about 40 or 50 kilowatts average power for
24 years, so we expect that converter target to last a long
25 time, but it will certainly get active.

1 The choice of tantalum over tungsten, which
2 was the alternative, is to try to come up with, reduce the
3 residual activity as much as possible or have materials
4 that will decay reasonably fast and try to reduce the
5 radiation level.

6 But it's still, you know, a few cubic
7 centimetres of all material at this time.

8 **MEMBER HARVEY:** Merci.

9 **THE CHAIRMAN:** Just one last quick question
10 to staff. If post-March the government wants to allow
11 commercial facility to become operational, what licensing,
12 what further licensing process is required?

13 **MS. MURTHY:** As a Class 2 nuclear facility,
14 they would become medical, an isotope production facility.
15 So they would have an isotope production accelerator; they
16 would be designed as a Class 2 nuclear facility with the
17 processing integrated into the Class 2 nuclear facility
18 licence as long as the activity did not exceed the limit
19 that would make it a class one processing facility.

20 So it would be good to handle it as a Class
21 2 nuclear facility.

22 **THE CHAIRMAN:** So it would be a separate
23 unit within the CLS, let's say?

24 **MS. MURTHY:** Depending on -- yes, it would
25 be a separately issued licence and separately maintained.

1 **THE CHAIRMAN:** And they have to come in
2 with the new application to us? Is that ---

3 **MS. MURTHY:** Yes, yes.

4 **THE CHAIRMAN:** To a deal?

5 **MS. MURTHY:** That's right.

6 **THE CHAIRMAN:** Right. Okay.

7 Well thank you very much. Good luck to
8 you.

9 Okay. We'll reconvene at 4:05.

10 --- Upon recessing at 3:57 p.m.

11

12

13

14

15

16