

**Canadian Nuclear
Safety Commission**

**Commission canadienne de
sûreté nucléaire**

Public hearing

Audience publique

Cameco Corporation:

Application by Cameco
Corporation for the Renewal of
Class IB Nuclear Fuel Facility
Operating Licence for Blind River
Refinery in Ontario

Cameco Corporation :

Demande de Cameco Corporation
pour le renouvellement de son permis
d'exploitation d'une usine de
combustibles nucléaires de catégorie
IB à Blind River en Ontario

November 3rd, 2011

Le 3 novembre 2011

Public Hearing Room
14th floor
280 Slater Street
Ottawa, Ontario

Salle d'audiences publiques
14^e étage
280, rue Slater
Ottawa (Ontario)

Commission Members present

Commissaires présents

Dr. Michael Binder
Dr. Moyra McDill
Mr. Dan Tolgyesi
Dr. Ronald Barriault
Mr. André Harvey

M. Michael Binder
Mme Moyra McDill
M. Dan Tolgyesi
M. Ronald Barriault
M. André Harvey

Secretary:

Secrétaire:

Mr. Marc Leblanc

M. Marc Leblanc

General Counsel :

Conseillère générale:

Ms. Lisa Thiele

Mme Lisa Thiele

1 **Cameco Corporation:**
2 **Application by Cameco**
3 **Corporation for the Renewal of**
4 **Class IB Nuclear Fuel Facility**
5 **Operating Licence for Blind River**
6 **Refinery in Ontario**

7
8 **MR. LEBLANC:** So this is Day One of the
9 public hearing for the Blind River Refinery. The Notice
10 of Public Hearing 2011-H10 was published on August 24th,
11 2011.

12 Submissions from Cameco and CNSC staff were
13 due and filed by October 3rd, 2011. The presentations
14 from Cameco and CNSC staff were filed on October 26th.
15 Commission Member Document or CMD 11-H18.A is confidential
16 and will be discussed in closed session, if necessary,
17 after the public portion of the hearing. The Commission
18 has already determined that such a closed session will not
19 be necessary.

20 Day Two of the public hearing is scheduled
21 for January 18th and 19th, 2012 and will be held at the
22 Town Park Recreation Centre in Port Hope. The public is
23 invited to participate either by oral presentation or
24 written submission at the Day Two hearing. The deadline
25 for the public to file a request to participate and a

1 written submission is December 19th.

2 In a notice published on August 16th, the
3 CNSC announced that it is allotting funds under its
4 participant funding program. October 14th was the
5 deadline to file a request to receive participant funding.
6 The Commission received three requests for funding
7 regarding the Blind River Refinery. A funding review
8 committee independent of the Commission, as it is made up
9 of external members not related to the CNSC, rendered its
10 decision recently and approved two of the three requests.

11 Mr. President?

12 **THE CHAIRMAN:** Okay, I would like to start
13 the hearing by calling on a presentation from Cameco
14 Corporation, as outlined in Commission Member Document
15 H18.1 and H18.1A.

16 I understand that, Mr. Thorne, you're going
17 to make a presentation that will start with a short
18 description of the common elements for the three
19 installations and then you'll move onto Blind River. So
20 please proceed.

21

22 **11-H18.1 / 11-H18.1A**

23 **Oral presentation by**

24 **Cameco Corporation**

25

1 **MR. THORNE:** Good morning, President Binder
2 and Members of the Commission. My name is Andy Thorne and
3 I'm the Vice-President of Cameco's Fuel Services Division,
4 and I'll be making a short presentation today on behalf of
5 the Division.

6 In 2007, Cameco established the Fuel
7 Services Division with a divisional head office located in
8 Port Hope. This provides an important link between Cameco
9 Corporation and its Ontario operations ensuring better
10 oversight and encouraging the sharing of best practices
11 amongst the facilities.

12 The Fuel Services Division has developed a
13 strategic plan which is aligned to the corporate strategy
14 and Cameco's four measures of success, which are safe
15 healthy and rewarding workplace, clean environment,
16 supportive communities and outstanding financial
17 performance. This strategic plan is reflected in site
18 objectives and targets ensuring division operations
19 achieve safe, clean and reliable operations.

20 The Fuel Services Division is comprised of
21 five locations in Ontario. That includes three CNSC
22 licensed facilities. These are the Blind River Refinery,
23 the Port Hope Conversion Facility and Cameco Fuel
24 Manufacturing in Port Hope. Non-licensed facilities are
25 Cameco Fuel Manufacturing in Cobourg and the Divisional

1 Headquarters located in Port Hope.

2 The Fuel Services Division leadership team
3 ensures that site objectives are aligned with Cameco's
4 corporate vision and values and provides the necessary
5 oversight of safety, environmental, operational and
6 regulatory matters.

7 The divisional management team meets
8 regularly to review operational performance against
9 targets and provides key financial and procurement
10 services. The management team is also very supportive of
11 efforts to share best practices as well as promoting
12 collaboration between the various sites.

13 As indicated on this slide, the Fuel
14 Services Division is led by myself and includes the
15 general managers of the CNSC licence facilities as well as
16 divisional directors for compliance and licensing, finance
17 and procurement, transportation and public and government
18 affairs.

19 The Fuel Services Division provides support
20 to its operations through a number of avenues. These
21 include environmental leadership, initiatives, including
22 hydrogeology and waste management, environmental
23 assessments, fire and security, public, regulatory and
24 government relations, procurement and materials
25 management, as well as financial services. These

1 initiatives, in support of our operations, are designed to
2 ensure the achievement of safe, clean and reliable
3 production in the years to come.

4 We are proud of the accomplishments we have
5 achieved, and I look forward to my general managers
6 sharing these successes with you.

7 That concludes my remarks, and I'll now
8 pass the presentation over to Chris Astles, who is the
9 General Manager of the Blind River Refinery. Thank you.

10 Chris?

11 **MR. ASTLES:** For the record, my name is
12 Chris Astles, General Manager of the Cameco's Blind River
13 Refinery. With me today is Joe DeGraw, Superintendent
14 Quality, Compliance and Licensing for the refinery.

15 I will be making today's presentation on
16 behalf of the refinery.

17 The refinery currently has a five-year
18 operating licence from the CNSC which expires at the end
19 of February 2012.

20 As the Commission is aware from our
21 Application, we are requesting a 10-year operating licence
22 at this time. We feel our performance over the operating
23 history of the refinery warrants a longer licence.

24 As part of our Application we're also
25 looking to increase our licence annual production capacity

1 from 18,000 tonnes of uranium as UO_3 to 24,000 tonnes of
2 UO_3 .

3 Despite the current economic downturn,
4 Cameco believes the nuclear industry has a great future
5 and we want to position ourselves to be able to take
6 advantage of growth opportunities when they present
7 themselves.

8 At Cameco we are committed to protecting
9 the health and safety of people and the environment, and
10 our operating performance over the years speaks to this
11 commitment. The design, construction, and operation of
12 the refinery is intended to eliminate or minimize the
13 potential of radiological, chemical, or other physical
14 hazards to facility personnel, local residents, or the
15 surrounding community.

16 This picture shows the licensed facility.
17 As indicated in our Application and CMD, Cameco owns a
18 considerable buffer zone around the facility.

19 I am pleased to inform the Commission that
20 the Blind River Refinery achieved five years without a
21 lost time injury in June of 2011. Previously, the
22 refinery had achieved over 11 years without incurring a
23 lost time injury. This remains a record for Cameco's
24 Canadian operations and is one we hope to match and exceed
25 during the next licensing period.

1 The refinery was reregistered to the ISO
2 14,001 environmental management system earlier this year.
3 The operations has been registered to the standards since
4 2002.

5 Cameco has always tried to foster good
6 relationships with the communities in which we operate and
7 Blind River is no exception. A public information survey
8 conducted in 2009 reaffirmed that community support for
9 the operation remains strong.

10 As I mentioned earlier, the requested
11 production capacity increase will allow us to take
12 advantage of opportunities as they arise.

13 We have a number of different systems in
14 place to support our overall management system. During
15 the current licensing period Cameco developed a new
16 corrective action program to improve the quality of
17 internal accident and incident investigations, and also
18 developed a new electronic database called CIRS to
19 standardize the documentation of these events and
20 subsequent corrective actions.

21 Succession planning and leadership
22 developments are also key components to Cameco's overall
23 management system. The leadership development program
24 enables us to give our supervisory employees the
25 additional tools, skills, and confidence they need to

1 succeed in the organization.

2 Cameco has been implementing a systematic
3 approach to training at all of our Canadian operations
4 over the last few years. The SAT process covers initial
5 employee training and routine requalification training, as
6 well as requalification training of employees after an
7 extended absence from the workplace.

8 The refinery continues to place a strong
9 emphasis on communication with employees at all levels of
10 the operation. A key component of this communications
11 plan is the approach of management by walking around to
12 foster interaction with employees. Cameco also encourages
13 all employees to build and maintain a questioning attitude
14 with respect to health, safety, radiation protection, and
15 environmental issues at the site.

16 To proactively address workforce
17 requirements a workforce succession planning process was
18 initiated in 2010 in conjunction with Cameco's corporate
19 human resources talent management function.

20 The refinery has not exceeded any CNSC
21 regulatory action levels or limits during the current
22 licensing period. The new corrective action process and
23 use of the CIRS database to document, trend, and track
24 events and corrective actions is described in some detail
25 in our CMD. An example of this is the lessons learned

1 from the Port Hope Conversion Facility subsurface
2 contamination event investigation and subsequent
3 corrective actions.

4 Based on this event the refinery reviewed
5 and improved the inspection program for our own subsurface
6 systems. We also hired a qualified third party expert to
7 review our entire groundwater monitoring program. While
8 the review indicated the existing groundwater monitoring
9 program was acceptable, there were a number of
10 recommendations made to improve the program including the
11 drilling of additional monitoring wells around our site.
12 Cameco has incorporated these recommendations including
13 the drilling of additional wells into the current site
14 groundwater monitoring program. The new wells were
15 drilled in 2008.

16 Over the licensing period the Blind River
17 Refinery has made a number of operational improvements
18 that have had a direct impact on the operation. One of
19 the most significant changes has been the elimination of
20 ammonia as a chemical reagent at the site by modifying the
21 process. The ammonia was used to neutralize nitric acid
22 in the OK liquor prior to final concentration to uranyl
23 nitrate hexahydrate.

24 During this licence period the site has
25 designed and installed a drum decontamination circuit that

1 has allowed for the disposal of over 100,000 drums. In
2 2007 Cameco installed a new pollution control circuit for
3 our incinerator to meet new Canada-wide emissions
4 standards. Commissioning of the circuit took place in
5 2009 with the processing of contaminated and combustibles
6 generated from both Blind River Refinery and the Port Hope
7 Conversion Facility.

8 Also we have purchased new laboratory
9 instrumentation for environmental sampling analysis to
10 increase the reliability and accuracy. We have also
11 looked at other areas of risk mitigation to the
12 environment; an example would be the elimination of bulk
13 storage of sulphuric acids.

14 The refinery maintains a safety report
15 which is typically updated every five years. The report
16 summarizes a systematic review of the site operations to
17 identify and assess hazards and potential risks to the
18 public and the environment from refinery operations.
19 Cameco uses a hazards and operability, or a HAZOP approach
20 to assess new processes and equipment.

21 In support of our requested production
22 capacity increase, an independent third party engineering
23 assessment was conducted with respect to operating the U03
24 plant at higher production rates. The assessment
25 indicated, with some minor process modifications, the

1 plant could safely operate at the higher rates needed to
2 achieve the higher annual production throughput. These
3 process modifications are planned for the next licensing
4 period.

5 The facility is compliant to the NFPA 801
6 standard for fire protection and has conducted a fire
7 hazard analysis, or FHA, for the refinery that meets the
8 requirements of this standard. The FHA has been reviewed
9 and accepted by the CNSC staff.

10 During the current licensing period the
11 provincial MOE introduced a new environmental regulation
12 requiring sites, such as the refinery, to develop a
13 documented spill prevention and contingency plan that
14 contain specific information.

15 In addition, a third party expert was
16 retained to assess our facility against lessons learned
17 from the Fukushima Daiichi event. The experts concluded
18 that our facility had adequate defence in-depth safety
19 barriers in place to protect the public, workers, and the
20 environment and has adequate emergency preparedness and
21 emergency response capabilities.

22 Improving the overall physical design of
23 the refinery is a continuous process. As mentioned
24 earlier, the site has further enhanced its fire protection
25 system. The installation of the drum cutting and

1 decontamination circuit went through significant design
2 control and third party oversight. This included third
3 party safety analysis of the robotics operation, fire
4 hazard analysis review for compliance, job hazard analysis
5 of the operation by a third party, as well as detailed
6 training and operating instructions. We have also
7 improved the protection of the environment with the paving
8 of storage yards where drum material is being stored.

9 Near the end of the previous licensing
10 period all of Cameco's Canadian operations migrated to
11 SAP, which is a corporate-wide enterprise application
12 software for asset management, maintenance management,
13 accounting, and purchasing functions. The site was
14 inspected by the technical safety and standards authority
15 in 2010 and subsequently received new certificates of
16 authorization. We also conducted in-house and third party
17 testing of our fire protection systems.

18 Cameco made numerous changes and
19 improvements to our in-surface inspection program as a
20 result of the Port Hope Conversion Facility subsurface
21 contamination event. As well, the site's preventive
22 maintenance reports and KPIs are summarized and reviewed
23 regularly by site management to ensure all regulatory and
24 safety related PMs are being carried out and the
25 objectives are being met.

1 The refinery has a comprehensive radiation
2 protection program in place with both an external and
3 internal dosimetry program, an extensive in-plant sampling
4 program, a respiratory protection program that meets the
5 requirements of the CSA standard and an extensive
6 radiation surveying and contamination monitoring program.
7 There were no exceedences of CNSC limits with respect to
8 radiation protection during the current licensing period.

9 The radiation protection program is one of
10 the site programs that has considerable oversight, as all
11 aspects of the program are audited on a routine basis as
12 part of the internal audit program. In addition, the
13 program is also audited by independent, qualified, third
14 parties to verify compliance against applicable regulatory
15 requirements and licence requirements.

16 Reducing employee exposure is a constant
17 focus at the refinery. A new automated UO3 drumming
18 station has been installed with UO3 being transferred from
19 a tote bin through a drumming station that is dust free
20 and enclosed, minimizing the potential for employee
21 radiation exposure.

22 As well, the refinery historically utilized
23 nuclear gauges in various process areas for measuring of
24 process conditions. The nuclear gauges are no longer
25 required and we removed from the site using a qualified

1 licensed contractor.

2 The double drum dumper has been modified to
3 reduce air-in leakage, increase dust removal and improve
4 the protection of the employees. Not only were physical
5 changes carried out, but operating procedures were
6 improved for employee protection.

7 To reduce employee exposure, shielding has
8 been placed around the calcin product storage pad.

9 In order to ensure we remain compliant with
10 all safety and health-related legal and regulatory
11 requirements, Cameco contracts with qualified third-party
12 expert to periodically assess our compliance to the
13 relevant sections of the *Canada Labour Code* and associated
14 regulations.

15 Achieving five years lost-time injury free
16 is a significant milestone. This success is attributed to
17 attitude and commitment of the employees to work safely,
18 by management to support and management by walking around
19 philosophy, and the questioning attitude by all employees.

20 We have implemented an Arc Flash Program
21 that ensures employees are qualified and can work safely
22 while doing electrical isolation. We have also
23 implemented a formalized housekeeping program to improve
24 safety at the site.

25 Our hazard recognition program is a key

1 area for employee protection, and this is a systematic
2 review process for jobs that will be conducted where the
3 review identifies areas that must be addressed. This
4 includes locking out of equipment, clearing of lines prior
5 to first break, verification of radiation levels prior to
6 work beginning, and working at heights or confined-space
7 requirements.

8 The refinery has had no exceedences of CNSC
9 regulatory limits or action levels during the current
10 licensing period. Cameco contracts to a third party to
11 assess our compliance to federal and provincial
12 environmental legislation. The significant environmental
13 improvements made during the licensing period are noted on
14 the slide.

15 The site has successfully eliminated the
16 use of ammonia as a processing reagent, eliminating the
17 number one potential hazard for the refinery with respect
18 to public safety.

19 We have installed the 14 additional
20 groundwater sampling wells around the refinery.

21 Installation of the NO_x analyzer for
22 monitoring emissions and the installation of a
23 refrigeration circuit to improve the absorber NO_x
24 abatement process.

25 The installation of the incinerator air

1 pollution control circuit has been very successful at
2 significantly reducing emissions.

3 Cameco is committed to emergency management
4 and fire protection. A sizable portion of the training
5 done at the refinery each year is spent on emergency
6 response-related training activities. ERT personnel are
7 trained to the NFPA 472 and NFPA 600 standards.

8 The mutual aid agreement signed with the
9 Blind River Fire Department and Blind River Refinery
10 provides an additional layer of support to the refinery's
11 emergency response capability.

12 Cameco's commitment to support the local
13 emergency response organizations has extended to their
14 training requirements with Cameco providing financial
15 assistance to send volunteer fire fighters from Blind
16 River, Mississauga First Nation, Township of the North
17 Shore and Huron Shores Township to Lambton Fire College.

18 Emergency response is a key component to
19 the site fire protection program. In developing the fire
20 protection program, a defence in-depth approach was used
21 to ensure that the fire protection measures are adequate.
22 The fire protection Program is made up of the fire hazard
23 analysis and the fire protection supporting documents.

24 Cameco is committed to the support of the
25 local fire departments with a donation of equipment and

1 funds to help their groups. In the past, we have donated
2 an aerial fire trunk, bunker gear, SCBA packs, thermal
3 imaging cameras as well as other equipment.

4 In the area of waste management, we have
5 done a lot of work during the current licensing period in
6 reducing the inventory of historical waste materials and
7 we are quite pleased with our efforts.

8 We have been able to effectively process
9 and-or otherwise dispose of more waste material during the
10 current licensing period than any other previous licensing
11 period going back to the 1980s. This list identifies some
12 of the significant improvements made during the licensing
13 period.

14 The refinery's security plan and procedures
15 meets CNSC regulatory requirements. CNSC security
16 specialists conduct routine inspections at the site.

17 Throughout the licensing period, the IAEA
18 has conducted numerous scheduled audits as well as random,
19 short-notice inspections better known as SNRIs. The SNRI
20 requires that the site provides inventory records for a
21 set period of time and the inventory on site is reconciled
22 against the inventory ledger.

23 As well, the site maintains a design
24 verification where process operations are inspected to
25 confirm that there has been no unidentified changes for

1 the IAEA. Throughout this period, the site has maintained
2 the requirements of the IAEA and will continue to in the
3 future.

4 Cameco complies with all regulatory
5 requirements with respect to transport regulations
6 including training -- re-training requirements for all
7 employees involved in the handling, packaging and shipping
8 of radioactive materials.

9 Cameco does have an approved emergency
10 response assistance plan on file with Transport Canada.
11 Cameco also has qualified staff ready and available to
12 respond to offsite transportation events.

13 During the licensing period, there have
14 been two transportation events. In both events, there was
15 no impact or radiological exposure to the public or to the
16 environment. Reports on both events were sent to the CNSC
17 transportation staff.

18 Cameco has no projects going through
19 environmental assessment process at this time.

20 The site takes its aboriginal consultation
21 seriously and maintains constant communications with our
22 nearest neighbour which is Mississauga First Nation. As
23 an example of our commitment to this community, a
24 Memorandum of Understanding was signed with the Chief of
25 Mississauga First Nation and myself as general manager of

1 the site.

2 THE MOU is an agreement between the two
3 parties with a commitment to work collaboratively in areas
4 of mutual concern, to maintain regular communications, and
5 to maintain a respectful relationship.

6 Cameco continues to support Mississauga
7 First Nation initiatives and projects with not only
8 monetary contributions, but also in areas where we can
9 supply resources for technical assistance. As a result of
10 our community -- as a result of our commitment to
11 community relations, the relationship between Cameco and
12 Mississauga First Nation continues to improve.

13 The site has a preliminary decommissioning
14 plan which has been updated during the current licensing
15 period and accepted by the CNSC. As well, the site
16 maintains all other required regulatory approvals and
17 permits from provincial regulatory authorities.

18 For Cameco, our community relationships are
19 very important. In a recent survey we had conducted by a
20 third party, the results show that Cameco has 94 percent
21 of the community support for the continued operation of
22 the refinery. Open communications is a key to our
23 success.

24 We hold information meetings annually with
25 the Town Council and the Mississauga First Nation Band

1 Council. The site also conducts numerous tours at the
2 refinery and provides many presentations for local
3 interest groups. We also meet with the Blind River area
4 environmental monitoring committee, which is a committee
5 of the Town but has representations from local
6 communities.

7 Information on the Blind River operation
8 can be found on the Cameco website which also provides a
9 link to the new community website. The quarterly and
10 annual compliance reports are provided to the Town and
11 Mississauga First Nation and are also on the website.

12 The Blind River Refinery operation does not
13 require nuclear liability insurance.

14 At this time, there are no other -- no
15 additional or other matters to discuss. This concludes my
16 presentation on the performance of the Blind River
17 Refinery.

18 I am proud of the robust programs and
19 processes that ensure the safe, clean and reliable
20 operation of the site today and into the future. I
21 believe we have clearly demonstrated that we're qualified
22 to receive a new 10-year operating licence. I would be
23 pleased to answer any questions you may have at this time.

24 Thank you.

25 **THE CHAIRMAN:** Thank you.

1 Before opening the floor for questions, I'd
2 like to hear from CNSC staff as outlined in CMD H-18 and I
3 understand, Mr. Elder, you're going to make the
4 presentation. Please proceed.

5
6 **11-H18**

7 **Oral presentation by**

8 **CNSC staff**

9
10 **MR. ELDER:** Thank you. Good morning, Mr.
11 President, Members of the Commission. My name is Peter
12 Elder. I'm the Director General of the Directorate of
13 Nuclear Cycle and Facilities Regulation.

14 With me at the front table today are Mr.
15 B.R. Ravishankar, Director of the Processing and Research
16 Facilities Division, and Mr. Jafir Jaferi who is the
17 Senior Project Officer in that division. And we also have
18 a number of other supporting staff with us this morning.

19 Before turning to the presentation on Blind
20 River, I would like to note some overall points on the
21 three Cameco facilities that are being discussed today.

22 CNSC staff welcome the efforts to develop
23 common programs across the three facilities that Mr.
24 Thorne has mentioned. We view this as a positive
25 development that allows for sharing of best practices and

1 lessons learned from events.

2 In our reviews we do assess how these
3 programs are performing at the individual's facilities,
4 but also identify any corporate level issues where
5 appropriate.

6 Second, I would like to note that while
7 these facilities form part of the nuclear fuel cycle they
8 are quite diverse and have different inherent risks. So
9 the focus of CNSC staff work may be different for these
10 facilities.

11 To provide the Commission with a better
12 comprehensive view between the similar regulated
13 facilities in the nuclear fuel cycle CNSC staff plan to
14 present an annual compliance report on these facilities,
15 including uranium mines and mills and the fuel facilities
16 under discussion today. We are looking to present the
17 first such report to the Commission in March of 2012.

18 I would now like to return to the
19 presentation on the Blind River Refinery which is
20 contained in CMD 11-H18.

21 This presentation is divided into seven
22 parts. First we provide an introduction to the facility
23 and the current licence, then move on to an overview of
24 Cameco's licence renewal application. Third we look at
25 CNSC's compliance verification activities during this

1 period. Fourth, we look at the assessment of the
2 licensee's performance with respect to the safety and
3 control areas. And then we will focus on particular
4 performance of this facility in the certain areas, moving
5 on to the other matters of regulatory interest. And the
6 last two parts will cover the conclusions and
7 recommendations.

8 I will now pass the presentation over to
9 Mr. Ravishankar.

10 **MR. RAVISHANKAR:** Thank you, Mr. Elder.
11 Good morning, Mr. President and Members of the Commission.
12 We start with the introduction part.

13 Cameco Corporation of Saskatoon,
14 Saskatchewan owns and operates a uranium refinery
15 hereafter called the facility, in Blind River, Ontario.
16 The facility is located about 650 kilometres north of
17 Toronto.

18 The facility currently employs
19 approximately 160 people. It has been in operation since
20 1983. This slide shows the aerial view of the Blind River
21 Refinery and its surroundings. The town of Blind River is
22 about five kilometres to the east of the refinery.

23 The large water body on top part of the
24 slide is Lake Huron, and the refinery is located on its
25 north shore. The Mississauga River is on the east side on

1 the slide. Next to the river and the refinery is a public
2 golf course.

3 Cameco's Property encompasses an area of
4 approximately 253 hectares in total. This includes a
5 secured area of approximately 11 hectares representing the
6 CNSC licensed area. The nearest permanent residence is
7 about one kilometre away from the facility.

8 The facility receives uranium ore
9 concentrates from mines worldwide. The facility
10 chemically refines various milled uranium concentrates
11 received from mines to produce uranium trioxide powder.

12 In the refining process nitric acid is
13 added to uranium ore concentrate to produce uranyl nitrate
14 solution. Impurities are removed from the uranyl nitrate
15 solution by a solvent extraction process.

16 The purified uranyl nitrate is concentrated
17 and dried to produce uranium trioxide powder. The primary
18 recipients of this product are Cameco's Port Hope
19 Conversion Facility and Springfields Fuels Limited in the
20 United Kingdom.

21 Regarding the current licence, the
22 Commission issued it in February, 2007 for a five-year
23 term starting from March 1, 2007 to February 29th, 2012.
24 The current licence authorizes Cameco to produce up to
25 18,000 tonnes of uranium as uranium trioxide.

1 Only natural uranium is handled at this
2 facility. There are no outstanding issues from the
3 previous public hearings on this facility.

4 Upon Cameco's request the Commission
5 amended the current licence twice. Once in April, 2007 to
6 allow the licensee to upgrade the emission control
7 systems, offered existing hazardous waste incinerator.
8 The second amendment was granted in June of this year to
9 allow the licensee to increase operating hours of the
10 incinerator from 12 hours to 24 hours per day.

11 We will now move to the second part of our
12 presentation on staff's assessment of Cameco's licence
13 renewal application. In April, 2011 Cameco submitted its
14 licence renewal application for the Blind River Refinery.
15 Cameco's application includes two changes to its current
16 licence, as follows: The licence term to be increased
17 from five to ten years, and the annual production capacity
18 to be increased by 33 percent.

19 CNSC staff reviewed Cameco's licence
20 renewal application against the CNSC's regulatory
21 requirements. Based on this review CNSC staff concluded
22 that Cameco's application was complete and it met
23 requirements.

24 Next we will present staff's review of
25 Cameco's requested changes to its current licence. In its

1 application Cameco requested to increase its licence term
2 from five to ten years. CNSC staff have reviewed Cameco's
3 request and found it acceptable for the following reasons:
4 Cameco has consistently met the CNSC's regulatory
5 requirements. The refinery has well-established processes
6 with low risks. Hazards associated with licensed
7 activities are well-characterized and controlled. Cameco
8 has an effective management to respond to items requiring
9 corrective actions.

10 Additionally, CNSC Staff have an effective
11 compliance program for this facility. CNSC Staff's review
12 concluded that the proposed ten years' licence term is
13 acceptable.

14 Now we present staff's review of Cameco's
15 second request to increase annual production rate from
16 18,000 to 24,000 tonnes of uranium as uranium trioxide.
17 This is a 33 percent increase in the annual production
18 rate.

19 CNSC staff have reviewed Cameco's request
20 to increase the refinery's production capacity. Based on
21 this review CNSC staff concluded that the requested
22 production increase is safe and acceptable because it
23 involves no new processes, chemicals or hazards. It would
24 not increase risks to persons or the environment.

25 An environmental assessment completed in

1 2008 concluded that there will be no significant adverse
2 environmental effects. The safety related systems and
3 mitigation measures in place provide satisfactory defence
4 in depth for the continued safe operations of the
5 facility.

6 In addition to the two changes requested by
7 Cameco, CNSC staff are proposing to modify the content and
8 format of the existing licence. This is a major change,
9 but consistent with other Class 1 nuclear facilities'
10 licences recently issued by the Commission.

11 These changes are part of the revised CNSC
12 licensing framework that allows for better clarity to the
13 licensee on CNSC compliance verification criteria and
14 provides an effective change control process.

15 The changes were done as part of CNSC's
16 efforts to harmonize its licensing and compliance
17 framework, as well as to align its processes with global
18 practices.

19 While the licensee remains responsible for
20 the safe operation of the facility CNSC Staff will
21 continue regulatory oversight of the licensee's compliance
22 based on the requirements specified in the Licence
23 Conditions' Handbook.

24 Now I will pass the presentation over to
25 Mr. Jaferi.

1 **MR. JAFERI:** Thank you, Mr. Ravishankar.
2 My name is Jafir Jaferi. We will now present the third
3 part of our presentation on CNSC staff's compliance
4 verification during the review period.

5 CNSC staff have established a compliance
6 verification activity plan for the facility. Under this
7 plan CNSC staff conducted several activities to assure
8 that the licensed activities are being carried out safely
9 and in compliance with CNSC's requirement.

10 CNSC staff's compliance verification
11 activities include the following: 1) quarterly inspection
12 of Cameco's safety related systems and programs; 2)
13 desktop reviews of Cameco's submissions including
14 quarterly and annual compliance reports, third-party
15 review reports on modifications, event reports and updated
16 safety program documents.

17 Number 3, assessments of Cameco's proposed
18 corrective actions to address deficiencies found during
19 the compliance inspection.

20 And, number 4, verification of Cameco's
21 effective and timely completion of corrective actions.

22 This compliance plan is based on the
23 relative risks of all nuclear facilities and is consistent
24 with CNSC's risk-informed regulatory approach.

25 We now present staff's assessment of

1 licensee's overall performance in safety and control
2 areas.

3 Cameco's Blind River facility maintains
4 comprehensive and mature programs in all safety and
5 control areas.

6 Deficiencies found during inspections and
7 desktop reviews have been satisfactorily addressed by
8 Cameco in accordance with its corrective action plans.

9 Currently, there are no safety significant
10 items outstanding at this facility. The Blind River
11 facility is in compliance with the CNSC's requirements.

12 Overall, Cameco has upgraded the facility
13 safely and its performance in all safety and control areas
14 is satisfactory.

15 In the next two slides, we will present
16 CNSC staff's assessment of Cameco facility's performance
17 in various safety and control areas.

18 This slide covers 7 of the 14 safety
19 control areas. The remaining 7 will be shown in the next
20 slide.

21 As you can see from the table, Cameco
22 achieved satisfactory performance ratings in all safety
23 and control areas. These areas include management system,
24 human performance management, operating performance,
25 safety analysis, physical design, fitness for service, and

1 radiation protection.

2 Overall, Cameco operated the facility
3 safely and in compliance with the CNSC requirements during
4 the review period. No safety and control area has been
5 assigned a downward trend in performance.

6 The remaining seven safety and control
7 areas include conventional health and safety,
8 environmental protection, emergency management and fire
9 protection, waste management, security, safeguards and
10 packaging and transport.

11 As you can see from the table, Cameco
12 achieved satisfactory ratings in all safety and control
13 areas. Although Cameco made improvements in all safety
14 and control areas during the review period, significant
15 improvements were made in the waste management area. For
16 that reason, staff assigned an improving trend for that
17 area.

18 Information pertaining to the safety and
19 control area of security is protected and is submitted
20 separately in CMD 11-H18.A.

21 In the next few slides, staff will present
22 additional information and performance statistics related
23 to radiation protection, environmental protection and
24 conventional health and safety.

25 We start with the radiation protection.

1 Cameco continues to maintain an effective radiation
2 protection program to keep doses to workers and the public
3 as low as reasonably achievable.

4 All employees of the facility are
5 designated nuclear energy workers and/or monitored for
6 radiation exposures.

7 The maximum annual effective dose to a
8 worker was 15.9 milliSieverts. This is 32 percent of the
9 CNSC's regulatory limit of 50 milliSieverts per year.

10 For the 5-year dosimeter period from 2006
11 to 2010, the maximum cumulative effective dose to a worker
12 was 58.2 milliSieverts. This is 58 percent of the CNSC's
13 regulatory limit of 100 milliSieverts per 5 years.

14 The public radiation dose resulting from
15 the facility operations is calculated annually for a
16 location in the Huron Pines public golf course adjacent to
17 the facility.

18 The maximum effective dose calculated to a
19 hypothetical member of the public at the golf course
20 monitoring station was 0.036 milliSieverts per year during
21 the period from 2006 to 2010.

22 This slide presents the annual effective
23 radiation doses to workers during 2006 to 2010. The data
24 for 2011 is not available until early 2012. The blue bars
25 show the maximum and the green ones show the average

1 annual effective doses to workers.

2 The maximum and average annual effective
3 doses to workers were 15.9 and 3.4 milliSieverts,
4 respectively, during 2006 to 2010.

5 As you can see from the graph, radiation
6 doses to workers were well below the annual regulatory
7 limit.

8 As required by the CNSC, Cameco has
9 established monthly and quarterly action levels for
10 radiation doses to workers. These action levels have been
11 set well below the regulatory limit and were not exceeded
12 during the review period.

13 In this and the next three slides, we will
14 present key performance data for Cameco's environmental
15 protection program.

16 The CNSC regulations require licensees to
17 take all reasonable precautions to protect the environment
18 and control releases of nuclear and hazardous substances
19 to the environment.

20 Cameco continues to maintain a
21 comprehensive environmental protection program at the
22 facility. Under this program, Cameco controls and
23 monitors releases of nuclear and hazardous substances to
24 the environment.

25 Cameco's Blind River refinery has three

1 stacks for airborne uranium releases to the environment.
2 As required by the licence, Cameco monitors these three
3 stacks on a daily basis to determine compliance with the
4 licence release limits.

5 Also, Cameco has three sources of liquid
6 effluents from the facility. These are plant effluents,
7 stormwater runoff and sewage treatment effluent. These
8 effluents are collected in lagoons and treated as required
9 prior to discharge to Lake Huron through a diffuser.

10 Since 2007, environmental releases from the
11 facility have been well below the licence limits.

12 This figure shows annual average uranium
13 emission rates from the facility during 2007 to 2011. The
14 2011 data is as of June 30th.

15 The current licence limit for uranium
16 emissions is based on the derived release limit equivalent
17 to the CNSC's regulatory dose limit of 1 milliSievert per
18 year to a member of the public.

19 The proposed new licence limit for uranium
20 emissions is 1/20th of the current one and is based on a
21 public dose of 0.05 milliSievert per year.

22 The annual average uranium emission rates
23 were in the range of 0.0001 to 0.00015 kilogram during
24 2007 to 2011. These emission rates are well below the
25 current and the proposed licence limit.

1 The total amount of airborne uranium
2 released into the environment per year was in the range of
3 3.1 to 5.4 kilograms during 2007 to 2011.

4 This figure shows the annual average
5 uranium releases from the facility through liquid
6 effluence during 2007 to 2011. The 2011 data is as of
7 June 30th.

8 The annual average uranium concentration
9 and liquid effluents released were in the range of 0.01 to
10 0.03 milligrams per litre during 2007 to 2011.

11 The uranium concentration and liquid
12 effluent discharges are well below the current and the
13 proposed licence limit.

14 The corresponding total amount of uranium
15 released from the facility through liquid effluent into
16 the environment per year was in the range of 2.1 to 4.8
17 kilograms.

18 The groundwater monitoring results provided
19 in Table 12 in the CMD show no increasing trends for any
20 of the parameters monitored.

21 The data for 2009 and 2010 in Table Number
22 12 were corrected and a revised table was distributed to
23 the Members of the Commission. This revised table
24 replaces Table Number 12 on page 42 of the CMD.

25 For the next licence period, CNSC staff are

1 proposing environmental release limits that are more
2 stringent than the current one.

3 For example, the proposed uranium release
4 limits are based on the calculated dose to the public of
5 0.05 milliSieverts per year instead of 1 milliSievert per
6 year. While not precedent setting, the result of this
7 change is that the proposed release limits are 1/20th of
8 the current licensed release limit.

9 And for the liquid effluent, the uranium
10 concentration limit is reduced by a factor of 1/10th, from
11 20 to 2 milligrams per litre, based on improvements made
12 by Cameco in its effluent treatment systems at the
13 facility.

14 CNSC staff has discussed proposed new
15 release limits with Cameco management to determine if any
16 transitional period was required. Cameco indicated that
17 they can't comply with the new limits without any
18 transitional period. Accordingly, staff have recommended
19 that the Commission approve the proposed renewed licence
20 with reduced release limits.

21 In addition, CNSC staff requested Cameco to
22 review their action levels to reflect its current
23 operational performance of the facility.

24 The main purpose of these action levels is
25 to give early warnings for process upsets or poor

1 performance of emission control systems. As requested,
2 Cameco completed the review of action levels and proposed
3 more stringent action levels as part of its continuous
4 improvement commitment.

5 CNSC staff have review and accepted the
6 proposed reduced action levels. The new action levels are
7 specified in the licence conditions handbook given in
8 Part 2 of the CMD.

9 Regarding conventional health and safety,
10 Cameco has an effective health and safety program in place
11 to protect workers from industrial hazards at the
12 facility. Cameco has a facility health and safety
13 committee which conducts monthly safety inspections,
14 reviews incidents for causes and corrective actions, and
15 recommends health and safety improvements.

16 During the current licensing period, Cameco
17 operated the facility safely without any lost time
18 injuries to workers or any other CNSC reportable event.

19 Let us move on to the fifth part of our
20 presentation on the other matters of regulatory interest.
21 We start with the environmental assessment.

22 As reported earlier, Cameco's proposed
23 production increased project was previously assessed under
24 the *Canadian Environmental Assessment Act* in August 2008.
25 The Commission, in its Record of Proceedings including

1 Reason for Decision dated November 3rd, 2008, decided that
2 the project, taking into account identified mitigation
3 measures, is not likely to cause significant adverse
4 environment effects. Hence, there is no requirement for
5 any new federal environmental assessment for the requested
6 licence renewal.

7 Cameco has an acceptable public information
8 program in place for its Blind River facility. Under this
9 program Cameco established a dedicated web site, public
10 communication plan for emergencies, and periodic reporting
11 of its facility's performance to the Town of Blind River.

12 CNSC staff recommended a new condition in
13 the proposed licence requiring licensee to maintain and
14 implement a public information program.

15 Regarding cost recovery, Cameco's Blind
16 River facility is in full compliance with the CNSC's Cost
17 Recovery Regulations.

18 Cameco submitted its revised preliminary
19 decommissioning plan, PDP, dated March 2011 for the Blind
20 River facility. The revised PDP has been reviewed and
21 accepted by CNSC staff. The decommissioning cost estimate
22 has now increased from \$36 million to \$38.6 million.

23 The current licence requires Cameco to
24 maintain a financial guarantee acceptable to the
25 Commission. Cameco currently maintains the required

1 financial guarantee in the form of an irrevocable letter
2 of credit for the value of \$36 million CAD. The March
3 2011 cost estimate was \$38.3 million, however, based on
4 CNSC staff's comment, Cameco revised it to \$38.6 million
5 in September 2011. Staff is recommending that the
6 Commission accept the revised cost estimate of \$38.6
7 million.

8 Respecting aboriginal consultation, staff
9 identified and sent letters of notification to 12
10 aboriginal groups and organizations. The letters included
11 a copy of the licence application and provided information
12 on the public hearings and the availability of participant
13 funding. Follow-up phone calls were made to confirm
14 receipt and answer questions.

15 Some aboriginal groups have shown interest
16 in the renewal and have requested more information. In
17 these cases staff have provided a copy of both CNSC staff
18 and Cameco's CMDs, and have also provided contact
19 information for Cameco staff.

20 Finally, staff are aware that Serpent River
21 First Nation has applied for participant funding and have
22 also taken a tour of the Blind River facility.

23 CNSC has made participant funding for
24 intervenors of this licence renewal application. A total
25 amount of \$25,000 has been made available for that

1 purpose.

2 Regarding post-Fukushima review, CNSC staff
3 issued in March 2011 a request for actions pursuant to
4 subsection 12.2 of the General Nuclear Safety & Control
5 Regulations, requiring Cameco to review initial lessons
6 learned and to re-examine the safety case for the
7 facility, with the focus on external hazards such as
8 seismic, flooding and fire events.

9 Cameco submitted their final evaluation
10 report to CNSC staff in August 2011 and concluded that he
11 Blind River facility is safe with respect to the public,
12 workers, and the environment, and is capable of mitigating
13 both natural and man-made risks.

14 The report identified one gap related to
15 flood modelling for that facility. As part of their final
16 evaluation report, Cameco developed an action plan to
17 address the modelling gap and has committed to complete it
18 by March 2012.

19 I will now pass the presentation back to
20 Mr. Elder to conclude.

21 **MR. ELDER:** Thank you.

22 Considering the past performance and the
23 programs and resources in place for the Blind River
24 facility, CNSC staff have concluded that Cameco's
25 application for licence renewal has met the CNSC's

1 requirements.

2 Cameco has operated the facility in
3 compliance with the CNSC's regulatory requirements over
4 the current licence period, and Cameco is qualified to
5 carry out the activities that the proposed renewed licence
6 will allow, including the production increase.

7 Based on these conclusions, CNSC staff
8 recommend the Commission (1) approve Cameco's request to
9 modify its existing facility to increase annual production
10 capacity by 33 percent; accept Cameco's revised amount for
11 a financial guarantee of \$38.6 million; and approve
12 issuance of a proposed 10-year operating licence for the
13 Blind River Refinery.

14 This ends our presentation and staff are
15 now available to answer any questions the Commission may
16 have. Thank you.

17 **THE CHAIRMAN:** Thank you. Okay, I would
18 like to open the floor for questions from Commission
19 Members, and I'll start with Mr. Harvey, s'il vous plait.

20 **MEMBER HARVEY:** Merci monsieur le
21 président.

22 My first question is directed to staff.
23 It's just a clarification in page 2 of Cameco's document.

24 In the first paragraph, top of the page,
25 the last sentence:

1 "Their refinery also prepares and
2 ships UO3 to other customers around
3 the world. We are licensed by the
4 CNSC or the equivalent authority."

5 Does CNSC have something to do with --
6 outside Canada, because as it is written here, it's like -
7 - well, some facility outside Canada would be licensed by
8 CNSC?

9 You've got the sentence?

10 **MR. ELDER:** Yes, I've got it. Sorry --
11 Peter Elder, for the record.

12 You're on page 2 and it -- so in the -- to
13 ship the UO3 outside, Cameco is required to have an export
14 permit. And part of our review in making sure of issuing
15 that permit, is making sure that they have the appropriate
16 import permits with the other country. And we also
17 confirm that we have the appropriate arrangements under
18 our non-proliferation treaty obligations, to make sure
19 that anything that is exported from Canada is only used
20 for peaceful purposes.

21 I can see the statement, but Cameco needs
22 to actually get permission from both ends to do the
23 export.

24 **MEMBER HARVEY:** Okay, but the licence is
25 not coming from Canada, I mean from CNSC. Okay, just a

1 clarification.

2 But Cameco, in page 3, you mention that
3 "the facility develops a three and 10-year budget plan."

4 So could you just elaborate on that, how it
5 works and what is the value of one plan over the other?
6 How does it work?

7 **MR. ASTLES:** For the record, Chris Astles.

8 The purpose of the three-year and 10-year
9 budgeting plan is it forecasts what kind of production
10 numbers we need, staffing levels, what kind of financial
11 support revenues we are going to generate. So it's more
12 of a strategic planning for the immediate future, which is
13 the three-year's, and the 10-year plan is more the
14 development type of planning.

15 **MEMBER HARVEY:** That could not have
16 anything to stop, for example, to stop a project that
17 would have to be realized in one facility because you --
18 well you don't have enough budget for that, so you will
19 stop a project here and do something in the other
20 facility? Is it independent for each facility or it's a
21 budget for the whole Cameco?

22 **MR. THORNE:** Andy Thorne, for the record.

23 The 10-year planning cycle and the 10-year
24 planning process is individual for each site. There is a
25 relationship between the sites in the division, but that

1 process would not -- one site would not affect another as
2 far as stopping projects is concerned, no.

3 **MEMBER HARVEY:** It's independent?

4 **MR. THORNE:** It's independent in that
5 regard, yes.

6 **MEMBER HARVEY:** Okay, thank you.

7 **THE CHAIRMAN:** Can I ask a related
8 question? Is your increase in production demand comes
9 from this 10-year projection about the demand out there
10 for uranium?

11 **MR. ASTLES:** For the record, Chris Astles.

12 Yes, the 10-year plan is more of a
13 strategic strategy of what we believe the markets could
14 support for production in the future. So we are simply
15 wishing to position ourselves so that if the markets do
16 significantly improve, we'll be in a position to make that
17 material or that production.

18 **THE CHAIRMAN:** So right now, you are not
19 going to increase production next year? I mean, I'm
20 trying to understand when this increase will start kicking
21 in.

22 **MR. ASTLES:** For the record, Chris Astles.

23 Yes, we haven't specified as to when this
24 increase will kick in because, as of right now, we don't
25 know what the five-year and 10-year actual productions

1 will be. So it's just simply positioning ourselves. We
2 are not planning to do the changes in the next year.

3 **THE CHAIRMAN:** Thank you. Monsieur Harvey.

4 **MEMBER HARVEY:** On page 3, always in
5 Cameco's document, you mention that:

6 "The waste management and the waste
7 reduction strategies will be a main
8 focus during the next licensing
9 period."

10 So do you have some idea of what are your
11 targets and what has to be ameliorated?

12 **MR. ASTLES:** For the record, Chris Astles.

13 Yes, waste management strategies is based
14 on the theory of reducing the waste on site. In the last
15 year and a half, we've done significant changes to the
16 inventories with removal of materials like slightly
17 contaminated oils, sand, and gravel. The construction and
18 installation of a drum cleaning and grip blast circuit has
19 allowed us to finally dispose of used drums to a scrap
20 dealer as a recycled product. And next year, we will be
21 focusing on materials such as shredded drums that are on
22 the property.

23 **MEMBER HARVEY:** Talking of drums, you
24 mentioned that you process 100,000 drums. So that was --
25 I suppose that was a backlog of many years that you -- is

1 it now very clean and you don't have any backlog and
2 everything has gone somewhere?

3 **MR. ASTLES:** For the record, Chris Astles.

4 I wish we could say that the backlog has
5 been processed, but since the installation of the drum
6 cleaning circuit, we have reduced it. So there is about
7 30,000 drums remaining that have to be processed, and we
8 are looking at over the next couple of years to actually
9 eliminate that backlog while operating the circuit, as
10 drums are being generated on a daily basis.

11 **MEMBER HARVEY:** Okay. On page 5,

12 "In addition, an independent third
13 party expert conducts compliance
14 audits in the area of health, safety
15 and environmental legislation to
16 ensure that the refinery continues to
17 meet applicable requirements."

18 When was the last month and what is the
19 frequency of such audit?"

20 **MR. DeGRAW:** Joe DeGraw, for the record.

21 We audit all of the applicable
22 environmental and health and safety legislation on a
23 three-year cycle, so we audit basically a portion every
24 year. And actually the next compliance audit is actually
25 scheduled for the week of November 14th. It's coming up

1 very, very soon.

2 So what we have is we maintain a list of
3 the applicable Federal, Provincial, Environmental, Health
4 and Safety legislation that applies to the site and each
5 year -- so we submit a list of what we want the third-
6 party expert to review. They get that list. They prepare
7 their questions. They come on site for three or four days
8 and go through that and give us a report.

9 **MEMBER HARVEY:** About the third-party
10 experts, you've got many of them or it's always the same
11 ones coming in?

12 **MR. DeGRAW:** Joe DeGraw for the record.

13 Historically, we have used the same
14 company, although there are other companies that perform
15 similar -- would perform similar duties.

16 **MEMBER HARVEY:** Page 6 or 7, I should say
17 7, talking of reported events, you mention, for example,
18 "In 2007, there were 111 events
19 reported where 393 events reported in
20 2010."

21 I understand that the first year, you've
22 got more reported events, but I suppose that in the future
23 that should reduce?

24 **MR. ASTLES:** For the sort of events that we
25 are referring to, its strategy -- or the focus with these

1 reported events is it's a communications tool, so that we
2 can find out what's happening in the refinery, take
3 corrective actions, lessons learned from it. So overall,
4 they may reduce in time, but it's also a demonstration of
5 the reporting or the questioning attitude of the employees
6 that they do report events, no matter how minor so we do
7 learn from them. So we don't really want to see them
8 reduced, we want to continue on with the questioning
9 attitude.

10 **MEMBER HARVEY:** I would like to hear the
11 staff on that point.

12 **MR. ELDER:** Peter Elder, for the record.
13 They are applying a system that is very
14 similar that's been used in other facilities. Actually,
15 it's based somewhat on what is used in nuclear power
16 plants. And in these ones the number of events is
17 actually usually an indicator of how -- of your safety
18 culture in the low level events, and you actually want a
19 large number of low-level events reported. When they say
20 events, this could be, "I used this procedure and it
21 wasn't very clear. It needs to be rewritten so someone
22 doesn't do something wrong."

23 They are very, very minor improvements to
24 documents, to processes and that, and this is actually a
25 sign of a healthy safety culture when you have a large --

1 employees constantly looking for minor improvements.

2 So while it's called "events" they aren't
3 events in terms of spills or accidents. They are more
4 looking at where -- ways that you can actually improve the
5 operation or the safety of the facility.

6 **MEMBER HARVEY:** Well, I suppose that some
7 of them must be -- well, maybe not major but more
8 important than small things.

9 **MR. ELDER:** So one of the other points that
10 you have to do in this type of system is there has to be a
11 constant review by management of the significance of the
12 events and make sure that the more significant ones are
13 being addressed.

14 So when we come in and look at how a system
15 like this is working, we look very closely at how they
16 categorize their events and make sure they take
17 appropriate action on the more significant events.

18 **MEMBER HARVEY:** Just turning to Cameco, do
19 you have an idea of that number, 393 events, how many
20 events were more important, without saying major?

21 **MR. ASTLES:** Chris Astles, for the record.

22 As part of the process there was a risk
23 ranking or risk matrix that ranks the level of risk which
24 takes in a number of different factors, and of those we
25 had six level three events which require specific types of

1 investigations and follow-ups.

2 **MEMBER HARVEY:** On page 18 on 44 about the
3 challenges, you mentioned that they're a relatively small
4 workforce and hiring, training and retaining, you have a
5 special strategy for that, being a small force. Are you
6 aligned with some college or some university; how do you
7 do that?

8 **MR. ASTLES:** Chris Astles, for the record.

9 Yes, we recognize the challenges of living
10 in a small community and a small workforce and retaining
11 the knowledge of the employees. So one of the first
12 things to look at is our training process, the SAT, focus
13 training programs at the site.

14 We also do recruiting of people through the
15 college and universities local to Blind River. So it's
16 people used to living in Northern Ontario that will stay
17 in Blind River once we recruit them and train them.

18 There's no doubt that staffing levels at
19 Blind River are small. That's the effectiveness of the
20 site. And the training is the key to our success.

21 **MEMBER HARVEY:** I think I will pass and
22 I'll come back later.

23 **THE CHAIRMAN:** Okay. Thank you.

24 Dr. Barriault?

25 **MEMBER BARRIAULT:** Thank you, Mr. Chairman.

1 With the increase -- I guess this question
2 is going to be first to Cameco and then to CNSC. With the
3 increase of production from 18,000 tonnes to 24,000
4 tonnes, I'm wondering what is going to be the impact on
5 your emissions, on your bi-products, on your tailings?
6 What happens to the plant with that increase? Do you
7 foresee a big increase?

8 **MR. ASTLES:** For the record, Chris Astles.

9 No, as part of the process we had to have
10 an EASR submitted and approved through -- by the CNSC,
11 which has been done.

12 **MEMBER BARRIAULT:** M'hm.

13 **MR. ASTLES:** As far as the actual
14 emissions, there's -- through the process we followed
15 there isn't going to be no significant increase to any of
16 the emissions for the refinery.

17 **MEMBER BARRIAULT:** There won't be any bi-
18 products to the chemical processes; your nitric acids, for
19 example, what happens to those?

20 **MR. ASTLES:** Chris Astles, for the record.

21 The refinery has a raffinate nitric acid
22 recovery circuit so the acid that comes into the refinery
23 we're basically recovering and recycling back to the
24 digestion circuit for dissolution. So it's somewhat of a
25 closed loop.

1 The bi-products or recycled products that
2 we generate are currently being processed as a mill feed
3 in a company in the States with future processing to be
4 done at Key Lake.

5 **MEMBER BARRIAULT:** So the bi-products then
6 they're shipped down to the U.S. to a plant to be used for
7 something else?

8 **MR. ASTLES:** Yes. Chris Astles, for the
9 record.

10 Yes, they recover the late uranium in
11 there. The feed to their mill would be about anywhere
12 from two to eight percent uranium in our calcine product.

13 **MEMBER BARRIAULT:** Thank you.

14 Does CNSC staff want to comment on this?

15 **MR. RAVISHANKAR:** Ravishankar, for the
16 record.

17 Yes, CNSC staff is aware of the increase in
18 bi-products by about 30 percent, and CNSC staff has
19 reviewed and accepted the plan proposed by Cameco to
20 handle this.

21 **MEMBER BARRIAULT:** I guess it begs the next
22 question really. What would be the impact on the
23 financial guarantee in terms of future clean-up?

24 **MR. ELDER:** Peter Elder, for the record.

25 In terms of -- you notice that we had them

1 update their financial guarantee after this one. So that
2 bi-product is actually -- most of it is recycled back into
3 the uranium cycle, so it does not sit there on the site.

4 So there is actually very little increase
5 associated with the changes, other than they are going to
6 put in some more equipment in the plant that then will
7 have to be decommissioned when you get around to
8 decommissioning.

9 **MEMBER BARRIAULT:** When you get there.

10 Go ahead.

11 **THE CHAIRMAN:** Can I piggyback on this?

12 Just for clarification, remind us again in
13 the environmental assessment that was done, was the 24,000
14 increase in production explicitly mentioned? Is that the
15 limit? I mean, can it go up to 30,000, 40,000?

16 And by your recommendation to allow it to
17 go to 24, is it a maximum that's going to be written
18 somewhere and they cannot exceed?

19 **MR. RAVISHANKAR:** Ravishankar, for the
20 record.

21 Yes, the 24,000 tonnes per year was
22 specifically mentioned in the environmental assessment and
23 was reviewed for that limit. So there is a higher limit
24 that the environmental assessment has looked at.

25 **THE CHAIRMAN:** So the licence will prohibit

1 any exceedance to this if they decide to go that way?

2 **MR. RAVISHANKAR:** That's correct.

3 **THE CHAIRMAN:** And in the environmental
4 assessment the environmental impact on such production
5 increase were assessed and deemed to be of limited impact.
6 Is that correct?

7 **MR. RAVISHANKAR:** Ravishankar, for the
8 record.

9 Yes, the environmental assessment looked at
10 24,000 tonnes production and there was no adverse effect
11 that was determined.

12 **THE CHAIRMAN:** Thank you.

13 Dr. Barriault?

14 **MEMBER BARRIAULT:** Thank you.

15 On CNSC presentation, page 2 -- I'm sorry,
16 Cameco presentation, page 2 -- no, CNSC presentation. I'm
17 sorry. You've got the slide saying that it can be either
18 satisfactory or below expectation at the top of the page.
19 And I guess I'm not clear if you can have it both ways.
20 Can you have it below expectation and satisfactory?

21 That's your waste management 3.5.

22 **THE REGISTRAR:** We are referring here to
23 the CMD and not the slide deck ---

24 **MEMBER BARRIAULT:** Yes.

25 **THE REGISTRAR:** --- at the top of page 2?

1 **MEMBER BARRIAULT:** Yes, that's correct.
2 I'm sorry. No, the slide deck is contradictory ---

3 **THE REGISTRAR:** Yes.

4 **MEMBER BARRIAULT:** --- because it's
5 satisfactory.

6 **MR. ELDER:** Peter Elder, for the record.

7 We wanted to highlight in the summary table
8 that if you look at the detail on the waste management
9 assessment, some point during the last five years we did
10 assess it as being below expectations because of the
11 issues that Commissioner Harvey has already addressed
12 about the backlog in terms of the drums. So what we're
13 saying is that it was actually saying it is now
14 satisfactory and we clarified that in the presentation.

15 **MEMBER BARRIAULT:** So even though all the
16 drums were not cleaned up it's still satisfactory?

17 **MR. ELDER:** We feel that there has been
18 enough progress -- it was more to make sure that they
19 actually had the program in place so that we could look
20 into the future that they were actually -- had the
21 capability to deal in the -- deal with the problem.
22 Initially, they actually didn't have any plan to deal with
23 it.

24 **MEMBER BARRIAULT:** Thank you.

25 I guess my next question is to Cameco. You

1 have an arc flash program. Is this pertaining to welding
2 or what's this arc flash that you're talking about?

3 **MR. ASTLES:** For the record, Chris Astles.

4 It's a provincial legislation for
5 protection of employees doing electrical disconnects. So
6 when you start a job on repairing a pump someone has to
7 disconnect the starter so that it's electrically de-
8 energized at the pump. So it's the protection and the
9 training required for that person to actually throw the
10 breaker.

11 **MEMBER BARRIAULT:** Okay. Thank you. I
12 wasn't clear on that one really.

13 The next question deals with your
14 occupational health program and zero loss-time injury over
15 five years, which is commendable by the way. But having
16 said that, really, is that obviously you must have some
17 injuries. You know, what is the volume of your injuries;
18 what are they associated with, mainly hand injuries, back
19 injuries; what happens?

20 **MR. ASTLES:** For the record, Chris Astles.

21 Yes, with the SIR system we use it as a
22 method of tracking the injuries and doing trend analysis
23 and identifying areas of concern.

24 And as typical with most industries, hand
25 injuries are the number one culprit in this case, so

1 there's a lot of focus given with employees on proper PPE,
2 such as the types of gloves, the type of work they're
3 doing to protect the hands.

4 But we don't limit it to just hands, we
5 look at other -- like the second choice or third highest
6 culprit, whether it be eye injuries or backs or stuff like
7 that.

8 For the site, though, we do have a fairly
9 low first aid and medical aid injury rate as far as our
10 performance goes.

11 **MEMBER BARRIAULT:** Okay. The actual
12 numbers of work-related injuries.

13 **MR. ASTLES:** For the record, Chris Astles.
14 Yes, medical treatment frequency of 2007 was 7.2, 2008
15 6.7, 2009 2.6.

16 **MEMBER BARRIAULT:** But those are the
17 frequencies, not the actual ---

18 **MR. ASTLES:** Right. The actuals, I do know
19 for instance this year we have three what we refer to as
20 medical aid or medical consultation ---

21 **MEMBER BARRIAULT:** Okay.

22 **MR. ASTLES:** --- types. And I believe 24
23 first aids.

24 **MEMBER BARRIAULT:** And you break ---

25 **MR. ASTLES:** And this is typical.

1 **MEMBER BARRIAULT:** And you break this down
2 -- I'm sorry. You break these down into modified work, or
3 obviously you must have a modified work program.

4 **MR. ASTLES:** Yes. Chris Astles for the
5 record. We're required to have modified work programs for
6 employees, so they are broken down based on, were there
7 modified works taken, change of duties, things like that.

8 **MEMBER BARRIAULT:** Okay. So in reality you
9 may have people going to a different job than what they
10 usually do, rather than having a lost-time injury?

11 **MR. ASTLES:** For the record, Chris Astles.
12 I'll say yes that that is what could happen. But with
13 only the three medical aids it's obvious that it's not
14 happening, that we're not giving types of work that are
15 meaningless just to avoid a lost time. It's not the
16 process or the culture we want to create.

17 **MEMBER BARRIAULT:** No, exactly. And that
18 was the reason for the question of course.

19 On slide 1718 of CNSC presentation, you
20 have new proposed licence limits, and I'm not clear on
21 what these new proposed licence limits are based on. Is
22 it based on ALARA principle or is it just a number that's
23 pulled out of a hat and say: Hey, this is going to be it?

24 **MR. RAVISHANKAR:** I will request Mr. Mike
25 Rinker, Director of the Environmental Risk Assessment

1 Division to speak to this.

2 **MEMBER BARRIAULT:** Thank you.

3 **MR. RINKER:** Mike Rinker for the record.

4 The revised effluent limits are really
5 based on what we see as facility performance. This
6 facility is performing very well in terms of releases.
7 But if we could consider a dose to the public there's no
8 evidence really that -- of dose below a hundred
9 millisieverts per annum is causing any health effects.
10 And the public dose limit being set therefore at one
11 millisievert per annum still is fairly high for this
12 facility.

13 And to really get a good sense for when the
14 facility is not operating as it is able to operate, we
15 thought it relevant to tighten the limits even farther to
16 50 microsieveverts per annum. Certainly well-below any
17 level that we would expect health effects, but a better
18 sense of when the facility could trigger some sort of
19 action to make sure they're operating as well as they
20 could.

21 **MEMBER BARRIAULT:** And it begs the next
22 question really, is that will this limit be applied to all
23 other plants, all other refineries?

24 **MR. ELDER:** Peter Elder for the record.

25 This is the approach that we've taken for

1 starting last year with GE Hitachi. So the similar
2 facilities we are using a similar approach. When you get
3 to the Port Hope conversion facility it's actually an
4 approach that has been in place for the Port Hope
5 conversion facility for a number of years. So, yes, we
6 are trying to standardize this approach where they can
7 demonstrate the performance.

8 And we've stopped at the 50 microsieverts,
9 because based on ALARA, that's internationally where below
10 that there's considered to be a negligible risk and many
11 people stop regulating below that level. But we're not
12 stopping regulating, we're saying, that's your limit,
13 don't go over that. Recognizing that we also make sure
14 using the action levels that the facilities do perform as
15 they're designed to perform.

16 **MEMBER BARRIAULT:** Thank you. Cameco, how
17 do you feel about this? Is this a negotiated number, or -
18 --

19 **MR. ASTLES:** Chris Astles for the record.
20 We were in consultation with the CNSC at the outset of the
21 proposal of the new limits. And the reality is Cameco,
22 specifically Blind River, were committed to continual
23 improvement. And the historical trends of our emissions
24 both effluent and stats has been very good with good
25 process of changes to reduce the limits.

1 So there's nothing wrong with being
2 challenged to continue making improvements.

3 **MEMBER BARRIAULT:** Okay, thank you. Thank
4 you Mr. Chairman, that's all for now.

5 **THE CHAIRMAN:** Thank you. Dr. McDill.

6 **MEMBER MCDILL:** Thank you.

7 My first question is two, one for each
8 slide deck. What is the transportation route for the
9 uranium trioxide to the UK from Blind River? Is it down
10 to Port Hope and out?

11 **MR. ASTLES:** Chris Astles for the record.

12 The transportation route is, the ISO
13 containers are obviously packaged in Blind River and then
14 transported by truck to a rail yard in Toronto. And then
15 from Toronto it goes to rail to Montreal and then shipped
16 from there.

17 **MEMBER MCDILL:** So it doesn't go through
18 the Montreal lock system? Just curious. Maybe staff
19 knows?

20 **UNIDENTIFIED SPEAKER:** No.

21 **MEMBER MCDILL:** No.

22 **UNIDENTIFIED SPEAKER:** Go by train.

23 **MEMBER MCDILL:** Rail to Montreal then out,
24 but where out in Montreal?

25 **MR. ELDER:** Peter Elder for the

1 record.

2 They would be transferred to ships at the
3 harbour in Montreal. So I can't exactly, know exactly
4 what system they go through.

5 **MEMBER McDILL:** Great, thank you.

6 And in Cameco's deck you said there were
7 four gauges removed from processing areas. How have you
8 made up that -- it says "redundant" but how are you
9 verifying that?

10 **MR. ASTLES:** Yeah. There's a number of
11 nuclear gauges. They were used for process control for
12 measuring level or density process identifiers like that,
13 and we've been able to use other methods. We use
14 hydrometers, temperature controllers. So it's a process
15 change that allowed us to remove it -- remove them.

16 **MEMBER McDILL:** So these were gauges for
17 the process, not any other kind of gauge; it was for the
18 process itself?

19 **MR. ASTLES:** That's correct, yes.

20 **MEMBER McDILL:** All right, okay.

21 **MR. ASTLES:** For the process.

22 **MEMBER McDILL:** Thank you.

23 My next question, in staff's presentation
24 on page 41 there's a reference to monitoring wells. Maybe
25 I could ask both Cameco and staff to describe what is the

1 distribution of the wells around the site? They cover a
2 variety of depths and staff, are you certain that the
3 distribution is appropriate to detect developing problems?
4 Start with Cameco.

5 **MR. DeGRAW:** Joe DeGraw for the record.

6 Yes. We do have a number of monitoring
7 wells around the facility, both upstream and downstream,
8 and obviously many more downstream with the facility. And
9 they are at different depths. And one of the things we
10 did as was indicated in both our CMD I believe and the
11 presentation is, is we did hire, again, a third party
12 expert back in 2007 I believe, to review our existing
13 program and the location of wells, and they did recommend
14 that we add 14 wells.

15 Some of these were in existing locations,
16 but in some places we only had wells at one depth, so in
17 some cases it was a recommendation to install a second
18 well at a deeper depth. And so a number of these are both
19 inside the facility and outside the facility.

20 **MR. RAVISHANKAR:** Ravishankar for the
21 record. Before I pass the mic to Mr. Mike Rinker, I would
22 like to state that from CNSC staff point-of-view the
23 groundwater concentrations are very low and there has been
24 no evidence of subsurface contamination on the property.
25 Perhaps Mike Rinker will give further details.

1 **MR. RINKER:** Mike Rinker for the record.

2 A review of the network of groundwater
3 wells is based on in 2006, there was an environmental risk
4 assessment that was done where we looked at the risks
5 including all pathways.

6 In 2009 we did a review of the
7 environmental monitoring program. So not just the
8 quarterly and annual review of results, but the design of
9 the program itself.

10 There were some improvements made to the
11 groundwater monitoring system and we're happy with the way
12 it is now.

13 **MEMBER McDILL:** Thank you.

14 **THE CHAIRMAN:** Can I piggyback on that one?
15 So I just want to make sure that the result you are
16 getting, the measurement, is consistent with the MOE
17 upcoming limits. And what I want to know is MOE and
18 Environment Canada, are they satisfied with the way you're
19 proceeding here? And will the result be acceptable to
20 them?

21 **MR. DeGRAW:** Joe DeGraw for the record.

22 Both the CNSC and MOE receive copies of our
23 annual compliance reports, which is where we provide the
24 summary of the groundwater data every year. To my
25 knowledge they haven't commented back to us one way or

1 another on that.

2 **THE CHAIRMAN:** So can we make sure that MOE
3 staff are available in day two to make a pronouncement on
4 the plan here.

5 **MR. RAVISHANKAR:** Ravishankar, for the
6 record.

7 Yes, we'll make sure that MOE is contacted
8 with respect to the availability for Day Two.

9 I would like to state here that the
10 upcoming new standard that you've referred to, perhaps you
11 were referring to the uranium in air standard. These
12 concentrations that we were referring to right now is the
13 concentration of uranium in groundwater, which is an
14 indicator of whether there is contamination coming from
15 the operations from Blind River Refinery and ---

16 **THE CHAIRMAN:** But I thought they were
17 coming also for -- I thought there was also a new standard
18 coming for water -- uranium in water and in air?

19 **MR. ELDER:** We will confirm. We are not
20 aware of anything in terms of uranium in water and in
21 groundwater bay standard. They have had recent standards
22 on clean-up of soil, but these are for remediation of
23 facilities. So that would only be applicable in this case
24 when you got around to decommissioning the facility some
25 time in the future.

1 checked?

2 **MR. DeGRAW:** Joe DeGraw, for the record.

3 In the Cameco CMD the comment would refer
4 to our in-plant air sampling program for uranium. In the
5 staff CMD they're actually referring to the hi-vol
6 samplers, which is a sampling of ambient air off-site.

7 That is looked at, and was looked at as
8 part of the environmental assessment, basically how well
9 the emissions from the refinery did correlate with the --
10 with our hi-vol data. That was looked at in the
11 environmental assessment. That was done a few years ago.
12 I can't remember the details, other than they compared
13 reasonably well, considering the very low uranium
14 emissions we have.

15 **MEMBER McDILL:** But in your in-plant
16 verification it's done by calculation. Is there any way
17 of verifying by monitor?

18 **MR. DeGRAW:** Joe Degraw, for the record.

19 Yes, actually, and we have done that this
20 year. We, again, hired an independent third party
21 contractor to sample emissions, to see how well they
22 compare with what our calculations indicate, and we don't
23 have the final numbers, but, basically, they look like we
24 get a reasonable comparison.

25 **MR. JAFERI:** Jafir Jaferi, for the record.

1 There are two types of airborne uranium
2 monitoring; one is inside the plant, to get the level,
3 what is the uranium in the air inside the plant, which is
4 done on several work places. There are static monitors
5 which will provide daily average.

6 But there is another monitoring which is
7 outside the plant; it's in the ambient air. Those are
8 five, six locations, including the Town of Blind River,
9 which is even five kilometres away, and they are located
10 in four or five places outside the plant, and we call it
11 hi-vol sampling. That's done by all the regulators,
12 whether it's the MOE or Environment Canada, and they meet
13 that requirement.

14 So there are two types of airborne uranium
15 monitoring, one inside the plant to protect workers; one
16 outside the plant to protect the public.

17 **MEMBER MCDILL:** Have you seen this report
18 that Cameco is referring to, or the documentation that
19 they're referring to?

20 **MR. JAFERI:** Yes. Cameco submits quarterly
21 a compliance report which includes all the monitoring
22 results, including inside the plant monitoring as well as
23 the outside.

24 **MEMBER MCDILL:** My concern is principally
25 in the calculated values because we've had a couple of --

1 yes, please.

2 **MR. RINKER:** Mike Rinker, for the record.

3 The models that Cameco is referring to were
4 parts of the environmental risk assessment, so we have
5 reviewed those through those studies.

6 **MEMBER MCDILL:** Thank you.

7 With respect to the totes that are used --
8 these are mentioned on page 39 of Cameco's -- recently
9 there's been -- I guess it was an ENR on a tote failure,
10 so can Cameco tell me, how often are the totes inspected;
11 is there a process, is there a protocol for checking the
12 totes as they come in and go out?

13 **MR. ASTLES:** Chris Astles, for the record.

14 Yes, there's a process for the inspection
15 of the totes, so as they're being packaged or prepared for
16 shipment there's a visual inspection by the employee doing
17 the packaging.

18 As well, there's -- through our
19 preventative maintenance program there's annual testing of
20 the totes for items such as weld fatigue, thickness
21 testing, areas such as that.

22 **MEMBER MCDILL:** And staff is satisfied that
23 that is being carried out appropriately?

24 **MR. JAFERI:** Jafir Jaferi, for the record.

25 Yes.

1 **MEMBER MCDILL:** Very succinct, thank you.

2 I wonder if the Blind River topographical
3 slide could be brought up. Whoever's got the picture of
4 -- looking down on the plant where you can see all the --
5 you both had one. Perfect, thank you.

6 Where is the waste management area? Maybe
7 Cameco could ---

8 **MR. ASTLES:** We don't have a designated
9 area considered to be waste management. We simply store
10 the drums of shed material within the fence line.

11 **MEMBER MCDILL:** So everything is inside,
12 there's nothing -- okay.

13 So what is the highest ever water line
14 seen? Maybe you've talked to the local Aboriginal people,
15 maybe there's a -- have you ---

16 **MR. ASTLES:** Are you -- for the record,
17 Chris Astles. Are you referring to a flood?

18 **MEMBER MCDILL:** I mean, you've got a river
19 there and a lake there, there's got to have been a really
20 bad spring sometime along the way.

21 **MR. ASTLES:** For the record, Chris Astles.

22 Yes. Further down -- I'll refer to it as
23 "Highway 17" -- the water did reach the highway and did
24 cross it, but along the riverbank I would say it hasn't
25 risen up or breached the riverbank in -- well, in my

1 lifetime in Blind River.

2 **MEMBER McDILL:** That hardly goes back to
3 ancient times. Nevertheless...

4 **(LAUGHTER/RIRES)**

5 **MEMBER McDILL:** All right, let me try
6 another approach.

7 What is the gap in the flood modelling then
8 that was referred to?

9 **MR. ASTLES:** For the record, Christ Astles.
10 We hired a consultant to come in and do a
11 flood analysis for the potential of, you know, high winds,
12 wave action, as well as the possibility of dam failure
13 further upstream. And the owners of the dams that are up
14 the Mississauga River their emergency response plans
15 indicates that there's a potential for flooding on the
16 property.

17 So what we're trying to do is resolve how
18 they did their calculations, what kind of data did they
19 use, and why is there a difference between the two of us.

20 **MEMBER McDILL:** Does staff want to comment?

21 **MR. RAVISHANKAR:** Ravishankar, for the
22 record.

23 Yes, CNSC staff confirms that there is a
24 disagreement between two different modellers in terms of
25 what -- certain assumptions that they have made.

1 Further details on the flooding component
2 are the historical aspects.

3 I would like to pass the mic to Dr.
4 Shizhong Lei.

5 **MR. LEI:** Shizhong Lei, for the record.

6 The flood risk assessment conducted by
7 Cameco for the Blind River was done in 1980, so there is
8 quite some time past, and there's new updated information
9 that needs to be considered, and the consultant for Blind
10 River has recommended using the updated information to
11 update their flood risk assessment.

12 CNSC staff reviewed the report and approved
13 their action plan.

14 **MEMBER McDILL:** Has Cameco asked the
15 Mississagi First Nation if they have a body of knowledge
16 on where the water has been over the various seven
17 generations?

18 **MR. ASTLES:** For the record, yes. Those
19 conversations have been held with myself and of course the
20 Chief about the history of the site, activities that have
21 happened, what kind of historic sites are there, as well
22 as conditions of the Mississagi River, topics like that.
23 And in the conversations never have they inferred that
24 this area has been flooded out.

25 **MEMBER McDILL:** Because presumably they

1 were there before the dams were there, so the natural
2 water levels would be part of the historic knowledge?

3 **MR. ASTLES:** For the record, yes.

4 **MEMBER McDILL:** And my last question ---

5 **THE CHAIRMAN:** Sorry, still on that topic.
6 It sound to me like a Fukushima -- post-Fukushima kind of
7 debate here.

8 **MR. ASTLES:** Yes.

9 **THE CHAIRMAN:** And what I want to know is,
10 at the end of the day are we going to see the report, or
11 is the report from Blind River about doomsday scenario,
12 where what never happened before maybe not likely to
13 happen in the future, but we're still going to take an
14 analysis about what if. And hopefully we can see this,
15 because we understand that there was a reply to the 12/2,
16 and you mention it.

17 So is that all going to be available, is
18 available for ---

19 **MR. ELDER:** We can -- Cameco I'm sure would
20 be happy to provide you a copy of the report. There are
21 just two comments I'd like to make on these facilities,
22 all three that we're discussing today. Is that when you
23 look at the doomsday scenarios and what a potential it is,
24 there is no need for ongoing cooling or power at these
25 facilities.

1 So it's, you have an initial event and then
2 you have to deal with it. It's not like you'd see in
3 Fukushima where they have a tsunami and a major nuclear
4 incident actually three or four days later.

5 That said, these facilities were designed
6 to deal with floods and other areas. And what we're
7 seeing right now is the major gap, not a gap, but
8 something that needs to be investigated on this one, is
9 the event that would cause a dam failure. And are they
10 adequately protected to -- for the facility?

11 There is protection against floods, since
12 the question is, would that deal with all scenarios that
13 you could conceive of, given the situation. So the main
14 thing to look at is a dam failure. This is not a very
15 sizeably active zone.

16 But the initial reports were getting is
17 that the existing protections are sufficient to handle
18 almost anything that has been conceived of.

19 **THE CHAIRMAN:** Well, I think that's what
20 they -- we're looking for an answer to the question, what
21 if the site is flooded? Not the probability of it
22 flooded, what if it is flooded? What happen to the waste?
23 What happen, you know, what is the environmental impact?
24 And I think that's something that we need an answer.
25 Because it's not a nuclear power plant, what in this

1 particular case the concern that one might have?

2 **MR. THORNE:** Sir, Andy Thorne for the
3 record.

4 Cameco has responded to the 12/2 letter.
5 We've done assessments of all of our licensed facilities,
6 including the three licence fuel services operations.
7 These assessments are carried out by a third party.

8 This one specific in a beyond design basis
9 scenario of a dam failure requires some additional work.
10 And we have committed, we have submitted the initial
11 report to the CNSC, and we have committed to continue this
12 work into next year and provide updates on a quarterly
13 basis.

14 So our intent is to review this, you know,
15 potential beyond design basis event and understand that
16 more fully.

17 **THE CHAIRMAN:** Thank you. Dr. McDill.

18 **MEMBER MCDILL:** Two last questions. The
19 first one, there were some palettes that were mis-shipped,
20 there were three small fires over the last little while.
21 Is staff satisfied that there is no slippage and attention
22 to detail going on?

23 **MR. JAFERI:** Jafir Jaferi for the record.

24 Yes. Those three fires were minor
25 incipient fires where operator used the fire extinguisher

1 and put out the fire. There was no need for any emergency
2 response type things.

3 **MEMBER McDILL:** I'll ask Cameco to comment
4 if they wish, in fairness.

5 **MR. ASTLES:** For the record, Chris Astles.

6 No, we don't perceive that there's any
7 slippage for the observation, oversight or attention to
8 the operation.

9 **MEMBER McDILL:** Thank you.

10 And last question since we brought it up,
11 with respect to fence lines and waste, by which I mean
12 things like drums. Should the drums be segregated? I
13 mean, they're all in one place? Should they be all in one
14 place? Should there be some special attention given to
15 them?

16 **MR. ASTLES:** For the record, Chris Astles.

17 I guess by clarification, the drums are
18 segregated so we use a specific yard to store the
19 concentrates. Another yard for scrap materials. Another
20 yard for scrap steel that needs to -- it's going to be
21 disposed of. So the yards are organized by the materials
22 that are on site.

23 **MEMBER McDILL:** And staff is satisfied that
24 that's appropriate?

25 **MR. JAFERI:** Jaferi Jafir for the record.

1 Yes, most of the raw material is the
2 Yellowcake, lots of drums. And they have been stored
3 inside plus outside in designated areas. And the other
4 major item is the by-product, we were talking about
5 (inaudible). Yes, those drums are stored outside in a
6 designated area with proper signs around.

7 **MEMBER MCDILL:** Thank you, Mr. Chair.

8 **THE CHAIRMAN:** Thank you. Monsieur
9 Tolgyesi.

10 **MEMBER TOLGYESI:** Merci Monsieur President.

11 One is going back just to the licence. If
12 I understand well, what you were saying that the 24,000
13 tonne maximum capacity will be specified in the licence?
14 Because right now it's not there. It's in the Licensing
15 Handbook, a conditions handbook. So it will be specified
16 in the licence that the maximum capacity should be 25,000
17 tonnes -- 24,000 tonnes?

18 **MR. ELDER:** Peter Elder for the record.

19 It's actually, although as I said, it is
20 considered to be part of the licensing basis because the
21 EA is assessed on that one. So when you see condition 1.1
22 that says, here's the licensing basis, that is considered
23 to be part of the licensing basis.

24 So we could not -- our opinion would be,
25 yes, it specified the numbers in the handbook, so if they

1 wanted to change it from kilograms of uranium to kilograms
2 of uranium trioxide we could change that in the handbook.
3 But anything that changed actual the number in terms of
4 uranium would be considered an amendment to the licence
5 that would require Commission approval.

6 **MEMBER TOLGYESI:** What's the difference,
7 because right now it's in the licence? It's specified in
8 the present licence, the current licence they specify that
9 18,000 is there. It will imply kind of changes, or what
10 will be the impact on the licensee or on the staff?

11 **MR. ELDER:** Peter Elder for the record.

12 Just to clarify the question, whether it's
13 in the licence or in the handbook, you're asking what the
14 difference would be? What we found is that we were
15 getting occasionally you were amending a licence to get --
16 just because of an administrative amendment because --
17 depending on what they monitor, depending on this type of
18 thing, it explicitly says right now as it was sort of
19 uranium as in uranium trioxide. And if they had a
20 different chemical form or that, you would actually have
21 to amend the licence.

22 And we're saying it's better to say, this
23 is your design basis, this is what you've been analyzed
24 to. You must live within that, and it doesn't matter if
25 it's uranium and uranium trioxide or any other form. It

1 just it gives us a little flexibility to not be bound
2 precisely to administratively to a particular language.

3 In other places like the action levels it
4 allows us to do -- a licensee to do continuous improvement
5 without actually having to amend the licence. To get us
6 out of things, like if we want them to lower their action
7 levels because their performance is better, that's an
8 improvement, then we don't think you need an improvement
9 to -- you don't have to amend the licence to improve. And
10 that's what we're trying to avoid on that.

11 **MEMBER TOLGYESI:** I'm going to come back a
12 little bit to this increased production capacity; right
13 now what you are saying that natural uranium concentrate
14 is coming from world-wide, from Canada and from outside.
15 What's the proportion which is coming from within Canada?

16 **MR. ASTLES:** For the record, Chris Astles.
17 The amount of uranium we get from Canada
18 itself it does vary year to year. It could range anywhere
19 from 40 to 60 percent of our annual production.

20 **MEMBER TOLGYESI:** And what do you expect
21 this additional 6,000 tonnes would come from what, will be
22 split at the same proportion or it will mostly come from
23 outside?

24 **MR. ASTLES:** For the record, Chris Astles.
25 I don't believe we can answer that at this

1 time, because the reality is as new mines come on
2 throughout the world, whether they be in Canada, the
3 States or elsewhere, so it depends on what is available on
4 the market for uranium production at that time.

5 **MEMBER TOLGYESI:** My next question is that
6 what you are saying that the majority of your production
7 is shipped to Port Hope Conversion Facility, however, Port
8 Hope does not ask for increased capacity. So what you
9 will do with this additional production?

10 **MR. ASTLES:** Chris Astles, for the record.

11 Yes, the capacity of Port Hope is their
12 combined potential production capacity of both the UF6 and
13 the UO2, as well as the UF6 capacity for Springfield's
14 fuels in the U.K., and there's always the potential of
15 other conversion facilities wishing to have our UO3 as a
16 feed product to their circuits. So we're not completely
17 dependent on the Port Hope production to make our annual
18 production.

19 **MEMBER TOLGYESI:** You are asking for this
20 increase of capacity, so when you are looking, you know,
21 this post-Fukushima what's happened, like Germany stops
22 the -- at least they were saying that they will stop
23 nuclear energy, and some other countries, Belgium, et
24 cetera. What do you think; what's the potential for this
25 production?

1 **MR. THORNE:** Andy Thorne, for the record.
2 Cameco is an organization very confident in
3 the energy growth around the world. You're correct,
4 Germany has made some announcements recently that they're
5 going to step out of the nuclear power field. But, you
6 know, counter to that, if you look into Asia, India and
7 China there's a huge growth as we look out over the next
8 decade or two. We're expecting huge growth in other areas
9 of the world. While you're right, some other countries do
10 back out of nuclear, but still the prospects for nuclear
11 look very strong moving forward.

12 **MEMBER TOLGYESI:** What you are saying on
13 page 12 that there will be only minor upgrades or
14 installations of equipment within the facility which will
15 require this increase in production, what it means; what
16 type of upgrades what you are looking for; what's the --
17 and production line and what's in storage capacity; what's
18 in the waste handling, et cetera?

19 **MR. ASTLES:** For the record, Chris Astles.
20 The Blind River Refinery has a lot of
21 redundancy built into the design allowing for the
22 increased daily rates. The specific changes -- there are
23 two major changes to the refinery we need to do, is the
24 installation of two additional strip columns which are
25 required to remove the uranium from the solvent through

1 the solvent extraction process, and then the other area is
2 the denitration area where you dry the uranyl nitrate
3 hexahydrate to a dry powder, the UO₃.

4 And in this area we need three new
5 denitration pots, and this area was actually designed for
6 a total of 16 pots when Lumis designed and constructed the
7 refinery and currently we only have the 13 pots in place.
8 So the area is already designed for the additional three
9 pots.

10 And those are the major changes.
11 Everything else is quite minor, looking at steam trap
12 sizes, level control valve trim sizes, nothing of major
13 significance.

14 **MEMBER TOLGYESI:** So there will be no
15 shutdowns or whatever in the actual production line
16 because of building or installing these new facilities?

17 **MR. ASTLES:** For the record, Chris Astles.
18 The installation of the strip columns will
19 require a shutdown but we would do the work through a
20 summer shutdown, which is typically anywhere from four to
21 six weeks long, mainly because we'd have to purge the area
22 of the solvent before we're doing any welding in the area
23 just as a safety precaution. So there would be no
24 extended shutdown to do the alterations.

25 **MEMBER TOLGYESI:** What's the maximum range

1 of uranium concentration what you're receiving in your
2 facility?

3 **MR. ASTLES:** The range of concentrates,
4 depending on the mill they come from, it could be anywhere
5 from -- by contractual requirements, anywhere from 65 to
6 84 percent uranium in the feed.

7 **MEMBER TOLGYESI:** And do you have any by-
8 products or leftovers from chemicals what you are using
9 which are in concentrate which you are asking for specific
10 attention, or you are producing some chemicals as a waste
11 which you should store?

12 **MR. ASTLES:** For the chemical process we
13 have actually two recycle streams, both of which contain
14 trace uranium which are used as mill feed at other
15 facilities, calcine product and of course the regeneration
16 product from the solvent treatment circuit.

17 **MEMBER TOLGYESI:** You are talking about
18 this backlog, you know, which was I think it's a backlog
19 for drums since 2008, and you said that you are reducing
20 them but not eliminating them. Is there a kind of limit
21 as a storage capacity for this type of drums or any type
22 of waste which you are producing?

23 **MR. ASTLES:** There is no -- Chris Astles,
24 for the record.

25 There is no actual limit as to the number

1 of drums or material we can hold on site. The limitations
2 are restricted by the area that we have within the secure
3 compound or the fenced in area, the 28 acres. So there's
4 no designated number of drums we can have on site.

5 **MEMBER TOLGYESI:** What about staff, do you
6 agree it's correct or it should be limited somewhere
7 somehow?

8 **MR. JAFERI:** Jafir Jaferi, for the record.
9 Yes, we agree. This is the largest
10 refinery which brings yellowcake all over the world and we
11 don't think it's productive to put any limit on the
12 storage of uranium compound on site.

13 **MEMBER TOLGYESI:** And there is no risk
14 whatsoever because of the volume of this storage, what's
15 on the site?

16 **MR. JAFERI:** Jafir Jaferi again.
17 The storage is done safely. We make sure
18 that things are not left in the open. Everything is in
19 containment and properly stored so that doses to workers,
20 you know, are going to be increased if it's not properly
21 controlled and contained.

22 **MEMBER TOLGYESI:** Is this storage level or
23 capacity communicated to the residents or to other
24 stakeholders?

25 **MR. ASTLES:** The communications with the

1 local residents is more on the operational activities at
2 the site, and there is information provided as to the
3 storage material and the types of materials we handle
4 there, but the actual volumes it's not something we
5 readily share from a business aspect.

6 **MEMBER TOLGYESI:** You are saying on your
7 page 14 that all aspects are documented in an
8 environmental aspect registry. Could you tell me who
9 keeps this register; is it accessible to the public? And
10 when you are saying that it's updated on a frequency not
11 to exceeding three years, what it means?

12 **MR. DeGRAW:** Joe DeGraw, for the record.

13 The environmental aspects registry is a
14 requirement of our environmental management system. As
15 was indicated in our presentation and our CMD we are
16 registered to the ISO 14,001 standard, which is an
17 international standard for environmental management
18 systems, and that standard has a number of requirements
19 with respect to record control, document control, internal
20 auditing and so on.

21 And one of the requirements is to maintain
22 an environmental aspects registry, which is to look at all
23 of the activities at your site and what are the
24 environmental implications of those activities. So it's
25 sort of like a risk registry. So it's something that we

1 have and maintain ourselves and it's something that the
2 ISO registrar does review every year when they come on
3 site to assess our program and make sure we're maintaining
4 our standard.

5 **MEMBER TOLGYESI:** So it's not available to
6 the public as such and ---

7 **MR. DeGRAW:** That is correct.

8 **THE CHAIRMAN:** Why not?

9 **MR. DeGRAW:** Joe DeGraw, for the record.
10 The short answer is nobody's asked for it.
11 And the other thing, if -- and if we choose to, you know,
12 that decision could be made. We certainly do share our --
13 what our significant risks are. That information would be
14 shared because one of the things you do is identify what
15 your significant risks are. But again, that --- you know,
16 nobody has asked -- specifically asked us for that
17 information. If they did we would consider that request.

18 **THE CHAIRMAN:** That goes across the whole
19 facilities. I mean, if you share this information with
20 the ISO community; isn't that in the public domain anyhow?
21 Or is it done under a, sort of, confidential agreement?
22 I'm not familiar with the process.

23 **MR. DeGRAW:** Joe DeGraw, for the record.

24 I'm not 100 percent sure either, but I
25 don't believe the ISO community shares that. I think

1 because they have access to a lot of our confidential
2 information in order to assess our management system, that
3 information isn't -- they wouldn't make that public,
4 necessarily.

5 **THE CHAIRMAN:** Okay.

6 **MEMBER TOLGYESI:** And when you are saying
7 that this registry is updated on a frequency not to exceed
8 three years, could you be more specific?

9 **MR. DeGRAW:** Joe DeGraw, for the record.

10 Right now we're updating it about every
11 three years. But initially when we first formed it -- and
12 we've been registered to the standard since 2002, so when
13 we first developed it, basically, it gets updated as,
14 obviously, we make changes to the process or add new
15 chemicals. That's when you would want to add things.

16 So the first few years we used it, we found
17 a lot of things that maybe we initially missed the first
18 time. So there was a lot of changes required initially.
19 So we were updating it annually for the first number of
20 years. But since then it is being updated every three
21 years, though again, there's nothing stopping us from
22 updating it more often if we felt the need. It's our
23 document; it's our process, so it's totally up to us how
24 we wish to proceed with it.

25 **MEMBER TOLGYESI:** I have two last

1 questions, Mr. President. One is that on page 42 you are
2 talking about this public consultation and Blind River
3 residents are supportive. You are saying that majority of
4 residents, it's 79 percent, do not have any specific
5 concerns. Which means 21, they have. Could you be more
6 specific on what these concerns could be or they are?

7 **MR. ASTLES:** For the record, Chris Astles.

8 It'd be difficult to identify the actual
9 concerns based on that survey because the questioning is
10 quite generic. That's why as part of our public
11 communications program, we do the annual updates with the
12 town council, local interest groups, Mississauga First
13 Nation Chief and council so that we get the information
14 out there more readily.

15 We're also doing more information sharing
16 with outside communities such as in Elliot Lake; we
17 requested access to Spanish -- the community of Spanish,
18 at their town council so that we can update them as well.
19 So the actual concerns, we wouldn't have the exact
20 details.

21 **MEMBER TOLGYESI:** So they are not really
22 significant?

23 **MR. ASTLES:** No, they wouldn't be
24 significant.

25 **MEMBER TOLGYESI:** You don't have any

1 examples because, you know, something could be significant
2 for me and not necessarily for you?

3 **MR. ASTLES:** Chris Astles, for the record.

4 Yes, what we can do is review the survey
5 results and try to be more definitive of what the concerns
6 may have been and present them at the day two.

7 **MEMBER TOLGYESI:** Just a comment, probably
8 on the day two it will be good. Also, you are talking
9 about these wells, control wells, what you are sampling.
10 There are no maps or anything which could show us that,
11 you know, tell us what's going on.

12 And my last one I wish to present is that
13 on page 40 that Cameco describes the general frame of
14 consultation with the Métis Nation, First Nation
15 Reservation, which is closest, I think, to your
16 facilities. However, according to the staff presentation
17 and on page 54, there are 10 other aboriginal groups who
18 may have an interest in the licensing renewal. So what
19 type of consultation or communication is done with these
20 other groups, or other organizations?

21 **MR. ASTLES:** Yes, the consultation that
22 we've done over the years has been specific with
23 Mississauga First Nation, who is our nearest neighbour.
24 Of course, they're approximately a kilometre from the
25 operation itself. The other First Nations are all along

1 the north shore of Lake Huron. So they're anywhere's from
2 close to Sault Ste. Marie up to the Massey area, so quite
3 a distance from the refinery.

4 Over the years as significant changes
5 such as the EASR for the production increase was done,
6 documentation has been provided to the local First Nations
7 requesting if they have any questions, comments, or
8 concerns to please contact us. And historically, we
9 haven't seen any concern from these other groups. It's
10 always been communicated through or with Mississauga First
11 Nation.

12 **MEMBER TOLGYESI:** I'm not a golfer, but
13 just to ask, you know, what's your communications if an
14 emergency situation is there on the site, the golf course
15 is just next to. Do you have some sirens, or I don't know
16 what you do with communications to prevent people -- and
17 it's the same thing applies to the Blind River, it's a
18 sirens or I don't know what's there?

19 **MR. ASTLES:** Chris Astles, for the record.

20 I guess the first thing to recognize is
21 that the operation itself, the elimination of the ammonia
22 at the site was a significant change to the operation in
23 that, that was the chemical that could have a potential
24 impact offsite or to the public outside the fence line.

25 The current operation isn't -- doesn't have

1 the type of risks or hazards that would have that type of
2 an impact. However, in our emergency response plan we do
3 have a communications protocol where we would call groups
4 such as the town, the mayor, the chief, or the golf
5 course, in the event of something going on there.

6 **THE CHAIRMAN:** Okay. Anymore? Monsieur
7 Harvey?

8 **MEMBER HARVEY:** Monsieur President, just --
9 maybe just one question before a small comment. Looking
10 at the safety and control area and rating, I mean, we
11 don't see quite often fully satisfactory; it's mostly
12 always satisfactory. And the trend is mostly minor
13 change, no change. And in that case, here, my comment is
14 general, but in that case taking the environmental
15 protection for example. You have in page 17 of the
16 presentation:

17 "Air emissions remained well below the
18 licence limits. Liquid effluent
19 remained well below the licensed
20 limit."

21 And to that point that you are lowering the
22 limits.

23 So my question is what it takes to get a
24 better performance and to get the fully satisfactory?
25 When you are at the point that you are lowering the

1 limits, isn't it satisfactory or more than satisfactory?
2 My question goes to the staff and maybe if Cameco wants to
3 comment.

4 **MR. ELDER:** Peter Elder, for the record.

5 I think I'll start, but on the environment
6 we may pass it to Mike Rinker on this one because there
7 are many aspects to an environmental protection program
8 beyond your actual emissions. But in general we are --
9 you know, to be frank we are still in the transition to
10 these new ratings. This is the first time we've used them
11 comprehensively on this facility. And this is the first
12 time I think you'll see changes as we get all the licences
13 with license condition handbooks where the requirements in
14 each area of our compliance are more detailed, spelled
15 out. And we're trying to move to a more systematic
16 approach on these things.

17 But in absence of the comparison, to say I
18 wanted you to do these things and you've done those things
19 plus five others; in the past those ratings were largely
20 based on judgement and regulators don't like to say
21 everything's perfectly fine, we can always find something
22 to improve.

23 So one of the things we've been looking at
24 is -- continues -- how do you build in the fact that there
25 is continuous improvement. Are you -- when you say it's

1 fully satisfactory, does that mean they no longer have to
2 improve, my response would be no, they need to continue to
3 improve.

4 So it is a complex thing but what we're
5 trying to do is make sure that the expectations, what we
6 measure them against, are very clearly defined in the
7 handbooks. And then I think as you go through that one,
8 we'll be able to separate out the satisfactory performance
9 to the ones that are actually going beyond satisfactory.

10 **MEMBER HARVEY:** I'm just saying that
11 because there is a certain satisfaction from anybody to
12 see that the others are appreciating the efforts.

13 And reading all those documents here there
14 is not too many things that are wrong or major problems
15 and things like that. So I agree with you that you don't
16 give the -- a gift every time you make a small move but --
17 well, it's a comment and I think sometime it could happen
18 to see a full satisfactory when there is nothing to say.
19 And I was just giving those examples of lowering the
20 limits, it's something. Anyway, I appreciate that, that
21 you are doing that but it's -- okay.

22 **THE CHAIRMAN:** Dr. Barriault?

23 **MEMBER BARRIAULT:** Thank you, Mr. Chairman.

24 I guess my next question really is with
25 regards to the 10-year licence. Why are you requesting a

1 10-year licence at this time and, having said that, what
2 regulatory requirements are we going to put in there to
3 make sure that it's being monitored?

4 **MR. ASTLES:** Chris Astles, for the record.

5 The reason we are asking for the 10-year
6 licence is based on the performance of the current
7 licensing period and previous licensing periods.

8 We have had very good environmental safety
9 performance, public relations, so we've demonstrated a
10 commitment to continually improve at the site.

11 As far as oversight, the CNSC will continue
12 -- I believe it is in their handbook -- with the regular
13 inspections of the site, the visits they do, the audit
14 program they do, as well as a mid-term presentation on the
15 activity and the performance at that time.

16 **MEMBER BARRIAULT:** Thank you.

17 CNSC, what are you going to do to monitor
18 this 10-year licence I guess is -- and I know you
19 described some of this, but just for the record?

20 **MR. RAVISHANKAR:** Ravishankar, for the
21 record.

22 CNSC staff is confident that the existing
23 programs in place for the various safety and control areas
24 is able to sustain the increased production at 24,000
25 tonnes per year and 10 years -- 10-year licence period.

1 And our program in terms of compliance
2 verification along with the licence condition handbook
3 flexibility that provides further specifications for the
4 licensee is sufficient for -- to manage the compliance
5 verification over a 10-year period.

6 **MEMBER BARRIAULT:** So you're satisfied that
7 you can monitor it effectively and report back to us how
8 frequently?

9 **MR. ELDER:** Peter Elder, for the record.

10 As we mentioned, what we're planning to do
11 is do actual grouping of all of the facilities on the fuel
12 cycle, the front end, the mines, these facilities and the
13 other fuel fabrications into an annual compliance report.

14 So you would get information on the
15 compliance things on an annual basis from the staff point
16 of view.

17 **MEMBER BARRIAULT:** Thank you, that's fine.

18 Thank you, Mr. Chair.

19 **THE CHAIRMAN:** Thank you.

20 Anybody else? Any other?

21 Okay, I've got just a couple of quick ones.

22 Your survey of -- I guess it's the Citizen
23 that got you the 94 percent support was in 2009. Are you
24 planning to update this post-Fukushima?

25 You know, it would be nice to see if there

1 is any change. And that runs across the three facilities,
2 actually.

3 **MR. ASTLES:** For the record, Chris Astles.
4 The direct answer is, yes, we will be
5 updating it.

6 The previous survey -- well, that was the
7 first one for the facility so it was interesting to see
8 the results, and definitely within the next licensing
9 period to do it a number of times; so yes.

10 **MR. THORNE:** Andy Thorne, for the record.
11 Just to comment on the other facilities.
12 These surveys are actually out of sequence. We don't do
13 them all at the same time at each facility.

14 And, interestingly, just to your comment,
15 in Port Hope the survey that we recently did was actually
16 post-Fukushima and we still see extremely strong support
17 from our community post that event in Japan.

18 So we have done a survey post-Fukushima
19 and, to Chris' point, we will -- we fully intend to repeat
20 that survey in Blind River sometime in the future.

21 **THE CHAIRMAN:** Thank you.

22 You still do incineration on-site. Will
23 that continue, increase; what are you incinerating?

24 **MR. ASTLES:** Chris Astles, for the record.
25 Currently, the incinerator is used to

1 process the contaminated combustibles from both the Blind
2 River Refinery and the conversion facility in Port Hope.
3 It is still operating. It's operating quite well.

4 At the mid-term hearing a concern was
5 raised to the fact that we were backlogged in material to
6 be processed. We have caught that up and the current
7 operation such that we're maintaining current inventory.
8 So as we generate it, we run the incinerator and process
9 it, and it will continue into the future.

10 **THE CHAIRMAN:** And what kind of emission
11 control do we have on that incinerator?

12 **MR. ASTLES:** The incinerator has a -- Chris
13 Astles, for the record -- has an APC system which consists
14 of scrubber columns, baghouse for filtration of the
15 particulate and dust, as well as activated carbon beds for
16 removal of dioxins and furans.

17 And the results of the incinerator
18 performance has been quite good, and it's part of the CMD
19 submission; Table 10 of the CMD.

20 **THE CHAIRMAN:** M'hm.

21 On safeguards, how many -- this is for
22 staff -- how many IAEA visits the site got on safeguards?

23 And, by the way, is there enriched uranium
24 on site at all?

25 **MR. RAVISHANKAR:** Ravishankar, for the

1 record.

2 To our knowledge there is no enriched
3 uranium on site at Blind River Refinery.

4 With respect to the IAEA inspections, I
5 believe that there were 10 inspections that were during
6 the licence period, out of which seven of them CNSC staff
7 accompanied IAEA inspectors.

8 **THE CHAIRMAN:** Why do they need 10
9 inspections for that particular site?

10 **MR. BURTON:** Patrick Burton. I'm the
11 Senior Safeguards Advisor for the CNSC, for the record.

12 The IAEA visits the Blind River site
13 according to a procedure that we have agreed with them,
14 and in that procedure it specifies sort of a maximum
15 frequency of inspections that the IAEA will carry out.
16 The number is based on their own risk assessment of the
17 Blind River facility.

18 **THE CHAIRMAN:** Sounds a bit bizarre that in
19 the global monitoring, Blind River has deserved 10 visits
20 ---

21 **MR. BURTON:** Ten (10) visits ---

22 **THE CHAIRMAN:** --- compared to all the rest
23 of the higher risks, I would argue.

24 **MR. BURTON:** Ten (10) visits is over the
25 entire licensing period. In a given year, Blind River

1 will receive two to four visits depending on ---

2 **THE CHAIRMAN:** That's what I mean.

3 **MR. BURTON:** --- how ---

4 **THE CHAIRMAN:** that's what I mean.

5 Don't you think that's over the top?

6 **MR. BURTON:** It's actually a slight
7 reduction from what used to be there, but it is still a
8 significant expenditure of IAEA, CNSC and Cameco
9 resources.

10 **THE CHAIRMAN:** Cameco, you want to comment?

11 Are you now trying to find a way to
12 facilitate this? And I understand you're developing some
13 software to make the process a bit easier?

14 **MR. ASTLES:** For the record, Chris Astles.

15 Yes, with respect to the software, it's the
16 setting it up so that the data -- inventory data is easier
17 to transfer to the IAEA records. So that's an ongoing
18 process and should be implemented soon.

19 As far as the visits by the IAEA, it's just
20 the cost of doing business for this site. We've developed
21 relationships with the inspectors that come on site.
22 We've gotten great support from the CNSC during these
23 visits. So it's just the cost of doing business for us.

24 **THE CHAIRMAN:** Did you ever find some
25 useful input from ---

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

(LAUGHTER/RIRES)

MR. ASTLES: For the record, Chris Astles.

It's more information given to the IAEA of operating conditions and inventory controls, so the information it's to the IAEA.

THE CHAIRMAN: So they never report back to you on your performance?

MR. ASTLES: For the record, Chris Astles.

They will tell us, through either phone conversations or letters, thanking us for participating in the inspections and the help we've given them.

THE CHAIRMAN: Thank you.

One quick question; you have a dosimetry service; who does your Q/A? You know, we recently got concerned about the some of the dosimetry quality assurances. Who does yours?

MR. DeGRAW: Joe DeGraw, for the record.

We have an external dosimetry service provider licensed, obviously, by the CNSC for our dosimeter badges, so they obviously would do their own Q/A.

We also have a licensed internal dosimetry program between Blind River and the service provider, licensed obviously by the CNSC for our dosimeter badges. So they obviously would do their own QA. We also have a

1 licensed internal dosimetry program between Blind River
2 and the Port Hope conversion facility, and so we do our
3 own QA for that. And that obviously includes internal
4 audits.

5 Again, we get a third party independent
6 contractor to do an annual audit of our internal dosimetry
7 program. And that, again, that was just recently done
8 about a month ago for both at Blind River and the
9 conversion facility.

10 **THE CHAIRMAN:** So the extent of QA it's not
11 Health Canada by any chance?

12 **MR. DeGRAW:** Joe DeGraw for the record.

13 No. It's a contractor that we hire to
14 carry out that work, and they look at all aspects of the
15 program.

16 **THE CHAIRMAN:** I see somebody -- some
17 expert from CNSC want to make a comment?

18 **MS. PURVIS:** Yeah. Caroline Purvis for the
19 record.

20 So my response applies to all three of the
21 facilities that we're hearing today. None of these
22 facilities use the Health Canada commercial service for
23 their external dosimetry.

24 **THE CHAIRMAN:** And they will reply to the
25 12/2 request?

1 **MS. PURVIS:** Excellent question. Yes, so
2 they do have a different commercial service for their
3 external dosimetry, who all of which have also received a
4 request to validate their technical algorithms. And at
5 the current time we have no reason to believe that the
6 other services are giving incorrect information. That
7 also includes the internal dosimetry that's licensed by
8 Cameco.

9 **THE CHAIRMAN:** Thank you. My last question
10 is, in your relationship with the First Nation, how many
11 employees of First Nation do you actually engage? Is that
12 a source of employment for some of the ---

13 **MR. ASTLES:** For the record, Chris Astles.
14 Yes, we look at employment through the Blind River area,
15 which is Blind River itself, the community and the First
16 Nation -- Mississagi First Nation. We look at the --
17 Mississagi First Nation there's about 350 full-time band
18 members, and in Blind River about 3500. So about a ten to
19 one ratio for employment opportunities. Currently we have
20 about 17 percent of our staff would be of First Nation
21 origin.

22 **THE CHAIRMAN:** You said 17?

23 **MR. ASTLES:** Seventeen percent. But that's
24 not limited just Mississagi First Nation. We do have
25 members -- employees from other bands as well.

1 **THE CHAIRMAN:** Thank you. Anybody else?
2 Last chance. Okay. Thank you very much.

3 We're going to take a break.

4 **THE REGISTRAR:** I'm going to close it?

5 **THE CHAIRMAN:** Go ahead.

6 **THE REGISTRAR:** So this hearing is -- this
7 brings a close the public portion of the hearing. And as
8 I mentioned earlier we're now going in closed session for
9 a discussion on security matters.

10 So this hearing is to be continued with day
11 two on January 18 and 19th, 2012 at the Town Park
12 Recreation Center in Port Hope. The public is invited to
13 participate either by oral presentation or written
14 submission on hearing day two. Persons who wish to
15 intervene must file submissions by December 19th, 2011.

16 The hearing is now adjourned to January
17 18th. And we will now take a short break of ten minutes
18 and start the hearing on the application for renewal of
19 the licence for the Port Hope conversion facility at
20 11:35.

21 **THE CHAIRMAN:** Thank you.

22

23 --- Upon recessing

24